

UNITED STATES OF AMERICA
CHEMICAL SAFETY AND
HAZARD INVESTIGATION BOARD

+ + + + +

CHEVRON RICHMOND REFINERY FIRE
RICHMOND, CA
AUGUST 6, 2012

+ + + + +

INTERIM PUBLIC MEETING

+ + + + +

FRIDAY
APRIL 19th, 2013

+ + + + +

6:30 P.M.

CSHIB MEMBERS:

RAFAEL MOURE-ERASO, Chairman

MARK GRIFFON

BETH J. ROSENBERG

DANIEL HOROWITZ, Managing Director

RICHARD C. LOEB, General Counsel

INVESTIGATIVE TEAM:

DAN TILLEMA, Team Lead

STEVE CUTCHEN

ROGER EVANS

LAUREN GRIM

SAM McFADDEN, Anamet, Inc.

PANEL MEMBERS:

ELLEN WIDESS, Cal/OSHA

PAUL AMYOTTE, Dalhousie University

RANDY SAWYER, Contra Costa County

TUPPER HULL, Western States Petroleum
Association

MIKE SMITH, USW Local 5

RON ESPINOZA, USW International

GREG KARRAS, Communities for a Better
Environment

MIKE WILSON, U.C. Berkeley

ELECTED OFFICIALS PRESENT:

JOHN GIOIA, Member, Contra Costa Board of
Supervisors

GAYLE McLAUGHLIN, Mayor, Richmond, CA

GEORGE MILLER, Congressman, California's

Eleventh District

MARK CHEKAL-BAIN, on behalf of NANCY SKINNER,
California State Assembly Member,
Fifteenth State Assembly District

TABLE OF CONTENTS

Welcome and Opening	
Statements By Board Members	
Chairperson Rafael Moure-Eraso	5
Member Beth J. Rosenberg	12
Member Mark Griffon	14
Introduction of CSB Investigation and Team	
Chairperson Rafael Moure-Eraso	17
CSB Findings and Recommendations	
Dan Tillema	19
Video Presentation	21
Lauren Grim	30
Roger Evans	42
Steve Cutchen	51
Statements by Elected Officials	
George Miller	60
John Gioia	69
Gayle McLaughlin	74
Mark Chekal-Bain, on behalf of Nancy Skinner	81
Board Questions for Investigative Team	
Panel Discussion	85
Ellen Widess	97
Paul Amyotte	98
Randy Sawyer	111
Tupper Hull	123
Mike Smith	135
Ron Espinoza	139
Greg Karras	141
Mike Wilson	143
	151

TABLE OF CONTENTS (Continued)

Public Comment	
Moderated by Daniel Horowitz.158
Note: All public commenters' names are spelled using best guesses.	
Henry Clark159
Kim Nibarger.166
Andre Soto.171
Robin Lappe174
Dorothy Wigmore179
Julia May189
Mike Parker193
Andy Katz197
Bishop Andre Jackson.201
Sylvia Greywhite.204
Steve Zeltzer211
Roger Lynn.215
Llana Garcia.217
Marilyn Langlois.221
David Campbell.225
Alexandria Anderson226
Rose Cuelo.228
Frank Cambra.230
Victoria Sawicki.239
Roberta Speakerman.244
Michael Leedy247
Eduardo Martinez.251
Sylvia Hopkins.253
Mary Flanagan254
Steve Ongerth257
Melvin Willis260
Dan Berman.262
Elliot Hughes267
Board Vote on Interim Report.268
Closing Statements.269
Adjourn270

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

P-R-O-C-E-E-D-I-N-G-S

6:30 p.m.

CHAIRPERSON MOURE-ERASO: Before we start, I would like to note that we have translation service tonight. We have Spanish and Laotian translators in the back. There are infrared earpieces that you can go in the back and wear it if you need it. You can get the headsets over at the left of the stage. That's left of the stage.

So, the meeting will now come to order. Thank you. Good evening, everyone. Welcome to this public meeting of the U.S. Chemical Safety Board. I am Rafael Moure-Eraso, the chairperson of the Chemical Safety Board, and with me at the table are my fellow board members, Mr. Mark Griffon and Beth Rosenberg. We are also joined at the head table here by Richard Loeb, who is the general counsel of the Chemical Safety Board.

Before we proceed further, please locate the meeting room exits that you will

1 use in case of an emergency. You can see they
2 are marked there in green lights on the sides,
3 if you need to leave the building.

4 We are especially honored today to
5 be able to have our meeting in this historic
6 facility. And we also are especially honored
7 by the presence this evening of Congressman
8 George Miller who is here with us.

9 (Applause.)

10 CHAIRPERSON MOURE-ERASO:

11 Congressman George Miller is one of our best
12 boosters in Washington, and a good friend of
13 the Chemical Safety Board. Also here with us
14 is John Gioia, who is the chairman of the
15 Contra Costa Board of Supervisors. Could you
16 please stand?

17 (Applause.)

18 CHAIRPERSON MOURE-ERASO: And also
19 with us is Gayle McLaughlin, the mayor of
20 Richmond.

21 (Applause.)

22 CHAIRPERSON MOURE-ERASO: We'd

1 also like to welcome any members of the
2 California Legislature that might be with us
3 today. At the entrance, as you can see, is a
4 copy of the agenda of this meeting, so you can
5 follow the proceedings. Everybody should have
6 one now.

7 And also there are copies of the
8 report. We are calling this an interim
9 report, but as you can see it's almost 100
10 pages, and it's a very complete set of
11 findings and recommendations.

12 We are here this evening so that
13 our investigation team may present a draft
14 report on this investigation, on the
15 investigation findings, along with a series of
16 urgent safety recommendations regarding the
17 massive vapor release and fire which occurred
18 last August at the Chevron refinery here in
19 Richmond.

20 Toward the end of the meeting, the
21 Board will vote on whether to approve this
22 final report and the recommendations, which

1 make the report official and will appear on
2 the website as a public document.

3 As I think everyone knows from our
4 previous reports and press conferences and
5 releases here, the vapor release was caused by
6 a highly corroded piping that gave way. You
7 will hear that Chevron failed to replace
8 critical sections of piping of the crude oil
9 unit over a ten year period, even though the
10 company was aware of the overall hazard of
11 sulfidation corrosion and its risk of
12 catastrophic failure.

13 But make no mistake, the ultimate
14 issue here is not corrosion, but how to make
15 effective corporate decisions.

16 (Applause.)

17 CHAIRPERSON MOURE-ERASO:

18 Companies that run refineries like the one in
19 Richmond must take every measure possible,
20 including the use of inherently safer
21 materials and processes, to run the plants in
22 a safe manner. The lives of workers are too

1 important to do otherwise. The lives and
2 well-being of residents in neighboring
3 communities are too important to do otherwise.

4 (Applause.)

5 CHAIRPERSON MOURE-ERASO: And
6 regulators need effective tools and resources
7 to encourage companies to make the right
8 choices. Even with some resource limitation,
9 California OSHA has the only dedicated process
10 safety management unit of any regulatory
11 agency in the nation. That is a great thing.
12 Still, California OSHA and other regulatory
13 agencies like it, including Federal OSHA, need
14 to be given substantially more resources so
15 that they can do more inspections and ensure
16 the public's safety.

17 (Applause.)

18 CHAIRPERSON MOURE-ERASO: Finally,
19 oil companies need to operate in a more
20 transparent way. Refineries --

21 (Applause.)

22 CHAIRPERSON MOURE-ERASO:

1 Refineries need to share information about
2 their hazards. They need to listen to
3 communities and --

4 (Applause.)

5 CHAIRPERSON MOURE-ERASO: -- and
6 let the public know what they are doing to
7 make the facility as safe as humanly possible.

8 (Applause.)

9 CHAIRPERSON MOURE-ERASO: Life is
10 too precious to do otherwise. We need a
11 change in how refineries do business, in
12 California and nationwide. Here today in
13 Contra Costa we have a unique opportunity to
14 effect meaningful change by learning from this
15 major accident.

16 In this community, we see a
17 constellation of engaged institutions that
18 represent all stakeholders in the region,
19 especially the 15,000 community members that
20 sought medical attention following the fire.
21 The stakeholders are demanding change.

22 These groups that have worked and

1 collaborated with us -- and this is not a
2 complete list -- are the Labor Occupational
3 Health Program with the University of
4 California, the Community for Better
5 Environment, the CBE, the Blue-Green Alliance,
6 the United Steel Workers Local 5, the United
7 Steel Workers International, California OSHA,
8 California EPA, the City of Richmond,
9 especially, Contra Costa County, and the
10 California Legislature.

11 Also, we have been in contact and
12 have spent substantial time, quality time,
13 with the California Refinery Task Force. And
14 very importantly, I hope that our
15 recommendations, that are very specific, will
16 be considered by the Governor of California's
17 Refinery Task Force.

18 All these institutions have the
19 energy and the will to implement our
20 recommendations. Thank you very much.

21 (Applause.)

22 CHAIRPERSON MOURE-ERASO: I would

1 now like to ask if other Board members have
2 opening remarks. I am calling first on Doctor
3 Beth Rosenberg.

4 MEMBER ROSENBERG: Thank you.
5 Thank you, Chairperson.

6 Good evening. It's heartening to
7 see so many of you concerned enough, angry
8 enough, to give up your Friday night to think
9 about refinery safety. I'm Beth Rosenberg.
10 I've been at the CSB for four months, and I'm
11 learning that everyone has his own view of
12 what's important, of what a root cause is.
13 You'll hear many views tonight, and I'll add
14 mine to the mix.

15 Our investigators found that, over
16 a 10 year period, Chevron technical experts
17 and workers made at least six recommendations
18 to increase inspection or replace the piping
19 that eventually leaked.

20 I would like to know what was
21 going on in Chevron's management. What flawed
22 decisionmaking matrices did they use? What

1 financial incentives did they have that
2 allowed them to dismiss the repeated warnings
3 of their employees and gamble with the safety
4 of their workforce and the public?

5 I realize the subject of corporate
6 decisionmaking is on the agenda for the final
7 report and will not be discussed tonight, but
8 I take this incident at Chevron as a
9 cautionary tale about what happens when senior
10 management ignores the concerns and advice of
11 workers.

12 This problem is not unique to
13 Chevron. In my 30 years as an occupational
14 health professional, I have found it to be
15 rampant across many sectors. Whether your
16 workplace is a refinery or a bakery,
17 management ignoring the advice of workers is
18 a serious mistake. Not only is it bad for
19 management, because good information is not
20 put to good use, but as we see here it is
21 dangerous and can have terrible and completely
22 avoidable consequences.

1 Why so many organizations persist
2 in this harmful, ultimately self-destructive
3 behavior is important to figure out, both for
4 the health of the organization or the
5 business, and mainly the public health.

6 Thank you.

7 (Applause.)

8 CHAIRPERSON MOURE-ERASO: Thank
9 you, Doctor Rosenberg. Now I would like to
10 call upon my colleague, the Board member, Mark
11 Griffon. Mark?

12 MEMBER GRIFFON: Thank you,
13 Chairperson.

14 I think this incident brings into
15 focus an issue of great concern to me: the
16 issue of an aging refinery sector. This
17 Chevron refinery has been in operation for
18 over 100 years. The crude unit in question in
19 this incident was constructed in 1976. It
20 seems to me that an aging refinery is like an
21 old house: it needs a lot of constant
22 maintenance.

1 Recent research conducted by the
2 United Kingdom Health and Safety Executive
3 shows that 50 percent of major hazard loss of
4 containment events from 1980 through 2006
5 arising from technical plant failures were
6 primarily due to aging plant mechanisms, such
7 as erosion, corrosion and fatigue. These are
8 sobering statistics, given the age of the
9 refineries in operation around the country.
10 Couple this with what appears to me to be a
11 culture of running to failure and the common
12 practice of running maintenance in the
13 refinery sector, and it seems to me you have
14 a recipe for a catastrophe.

15 It is critical to note that
16 Chevron is well aware of these issues of aging
17 plants, and yet decisions were made that led
18 to the failure on August 6th. Our
19 investigation found that in the 10 years prior
20 to the incident a small number of personnel
21 with knowledge and understanding of
22 sulfidation corrosion made at least six

1 recommendations to increase inspections or
2 upgrade metallurgy.

3 So the question is, why did these
4 recommendations for the most part fall on deaf
5 ears? Who decided not to implement the
6 recommendations, or delay the implementation
7 of the recommendations? And most importantly,
8 why?

9 This, I believe, is critical in
10 understanding why this incident occurred and
11 may have some valuable insights into why we
12 continue to see so many process safety
13 problems in the refinery sector nationwide.
14 I look forward to our team's more extensive
15 examination of these issues in our final
16 report.

17 Finally, and perhaps the most
18 important issue in this case, is the
19 connection of process safety decisions and the
20 potential risk to the community. Fifteen
21 thousand people went to the hospital after
22 this incident. These people have a right to

1 know what they were exposed to and what, if
2 any, adverse health effects can be expected.

3 (Applause.)

4 MEMBER GRIFFON: In our final
5 report, we need to examine the systems in
6 place to answer these questions for the
7 community, and to keep the community safe.

8 Thank you.

9 (Applause.)

10 CHAIRPERSON MOURE-ERASO: Thank
11 you, Mr. Griffon.

12 Our next activity will be the
13 presentation of the report, and I am going to
14 start with the introduction of the Chemical
15 Safety Board Investigation Team.

16 The person that spent a
17 substantial amount of time with the team
18 putting the investigation together is Donald
19 Holstrom. He was planning to be here with us,
20 however probably a lot of you have read about
21 the explosion and terrible accident that took
22 place in West, Texas, in the state of Texas,

1 and he had to deploy with 10 investigators to
2 that place yesterday morning, and at this
3 moment he is there taking the first steps to
4 initiate our investigation in West, Texas. He
5 is not with us today; he had to deploy.

6 Additional members of the team are
7 Dan Tillema, who is the team leader, sitting
8 here at the table on my right, and he is --

9 (Applause.)

10 CHAIRPERSON MOURE-ERASO: Dan
11 Tillema is very well known in these parts,
12 yes. Steve Cutchen, Roger Evans, Lauren Grim,
13 and Sam McFadden from the Anamet Company that
14 has been our consultant. He's also here.

15 (Applause.)

16 CHAIRPERSON MOURE-ERASO: Missing
17 from the table are people that also were part
18 of the team, but they cannot be here with us
19 because they are deployed in West, Texas, and
20 they are Mark Wingard, Amanda Johnson, and
21 Kelly Wilson.

22 Now I would like to turn over the

1 microphone to Mr. Dan Tillema, the
2 investigator in charge of the Chevron
3 investigation. Dan?

4 (Applause.)

5 INVESTIGATOR TILLEMA: Thank you,
6 Chairman Moure. I would also like to note
7 that the investigation team has had great
8 cooperation from other groups and agencies
9 throughout our investigation, including
10 Chevron and their employees, United Steel
11 Workers, Cal OSHA, especially Patrick Bell,
12 Clyde Trombetis and his PSM team (phonetic),
13 Contra Costa County, the City of Richmond,
14 Mary Westling (phonetic) and her team with the
15 EPA, and the Bay Area Air Quality Management
16 District.

17 Last summer on August 6th the
18 Chevron refinery right here in Richmond,
19 California experienced a catastrophic pipe
20 rupture in their crude unit. As a result of
21 this incident, 19 employees lives were
22 endangered and 15,000 members of this

1 community sought medical treatment. We found
2 that the immediate cause of this incident was
3 sulfidation corrosion, a common damage
4 mechanism in refineries.

5 As a result of this incident, the
6 Chevron crude unit remains out of commission
7 over eight months later. We have written an
8 interim report describing this accident, and
9 tonight we are proposing recommendations to
10 Chevron, the City of Richmond, Contra Costa
11 County, the State of California and the U.S.
12 Environmental Protection Agency. These
13 recommendations address the need for
14 inherently safer design, rigorous and
15 documented damage mechanism hazard reviews and
16 thorough analysis process safeguards.

17 We will begin our presentation
18 this evening by showing an animation of the
19 August 6th Chevron incident. We will then
20 present our key investigation findings,
21 followed by our proposed recommendations.
22 Elected officials will then give statements,

1 and the Board will have an opportunity to ask
2 the investigation team questions. We will
3 then hear from panel experts, and then the
4 public. The Board will vote on adopting the
5 interim report and proposed recommendations.

6 I will now show the video
7 depicting the August 6th Chevron incident.

8 (Whereupon, a video was
9 displayed.)

10 RECORDING: The Chevron Richmond
11 Refinery lies approximately 10 miles northeast
12 of San Francisco in California's Contra Costa
13 County. The 2,900 acre facility was initially
14 established in 1902 and primarily makes
15 transportation fuels such as gasoline and
16 diesel, as well as lube oils. The refinery
17 can process up to 250,000 barrels of crude oil
18 per day.

19 The first step of the refining
20 process takes place in the crude unit, where
21 crude oil is cleaned and heated before
22 entering the distillation tower. Inside the

1 tower, the crude oil is boiled. The vapor
2 then condenses into various liquid hydrocarbon
3 fractions, or streams, including jet fuel,
4 diesel, and gas oil. The different streams
5 exit the distillation tower through separate
6 pipes, or sidecuts, that lead to other
7 sections of the refinery.

8 On August 6th, 2012, the crude
9 unit was operating normally. Around 3:50 that
10 afternoon, an operator was performing a
11 routine check when he noticed a small puddle
12 on the ground near the distillation tower.
13 The liquid appeared to be dripping from an 8
14 inch insulated pipe 14 feet overhead. The
15 leaking pipe was a section of the tower's
16 number four sidecut line, which operated at a
17 temperature of 640 degrees Fahrenheit and
18 contained light gas oil, a combustible liquid
19 similar to diesel fuel.

20 Chevron inspectors knew that, over
21 the years, the walls of the number four
22 sidecut had thinned due to corrosion, but they

1 did not realize how close this particular
2 segment was to failure. There was no shutoff
3 valve between the pipe and the distillation
4 tower, and no way to isolate the leak.

5 The head operator was called to
6 the scene. Although he believed the situation
7 was serious, he did not believe the small leak
8 warranted immediately shutting down the unit
9 and stopping production. Following Chevron's
10 standard practice for responding to hazardous
11 leaks, refinery firefighters were sent to the
12 scene.

13 A number of managers, engineers
14 and technicians gathered there informally to
15 assess the problem. The group discussed a
16 recommendation from an operator to shut down
17 the unit, but they decided to first try to
18 pinpoint the leak by removing insulation from
19 the pipe while the crude unit was still
20 running. They hoped they could stop the leak
21 with a temporary metal fitting known as a
22 clamp.

1 A Chevron firefighter tried using
2 a pike pole to hook and pull away the
3 insulation, but this poking action was deemed
4 too dangerous because it was moving the pipe.
5 The CSB later found that the tip of the pike
6 likely caused a small puncture in the already
7 thinned pipe.

8 As the unit continued to operate,
9 workers assembled scaffolding directly beneath
10 the leaking pipe. Two firefighters then used
11 a hook to remove the insulation from the pipe.
12 As they were working, hydrocarbon vapor began
13 to flow out from underneath the insulation.
14 The two firefighters backed away from the
15 growing vapor cloud. As the hot vapor mixed
16 with air, it ignited.

17 That fire was quickly put out, and
18 the two firefighters immediately climbed down
19 off the scaffolding, but the exact location of
20 the leak was still obscured by the remaining
21 insulation and firefighting water, so the
22 Chevron firefighters attempted to strip the

1 insulation off the pipe with high pressure
2 water.

3 But the leak suddenly worsened,
4 and hot hydrocarbon liquid started to spray
5 out of the pipe. A decision was finally made
6 to begin an emergency shutdown of the crude
7 unit, but it was too late. Suddenly the pipe
8 ripped open. A vapor cloud formed and rapidly
9 expanded as the large inventory of
10 hydrocarbons in the distillation tower started
11 to vent through the ruptured pipe.

12 The vapor cloud immediately spread
13 over hundreds of feet, engulfing all 19 people
14 who had gathered nearby. The firefighters and
15 operators struggled to escape through the
16 dense hydrocarbon cloud. Unable to see, they
17 had to feel their way out, some on their hands
18 and knees.

19 At approximately 6:30 p.m., two
20 minutes after the huge vapor cloud formed, the
21 hydrocarbons ignited. One firefighter was
22 trapped inside a fire engine when it was

1 suddenly engulfed in flames. He radioed for
2 help.

3 "Mayday, mayday, mayday. This is
4 460."

5 But when he received no response,
6 he assumed everyone else was dead. To escape
7 the inferno, he fled through what witnesses
8 described as a wall of fire. Fortunately, all
9 the workers would eventually flee to safety,
10 and there were no fatalities.

11 The towering white vapor cloud
12 could be seen as far away as San Francisco on
13 the unusually clear August day. After the
14 ignition, a dense plume of black smoke formed
15 and drifted away from the refinery. The fire
16 continued burning for hours. Over the
17 succeeding days, more than 15,000 people
18 sought medical treatment at nearby hospitals
19 for breathing problems and other symptoms.

20 During its investigation, the CSB
21 determined that the carbon steel pipe
22 installed in 1976 had thinned to the point of

1 failure from an effect known as sulfidation
2 corrosion. Carbon steel piping is
3 particularly susceptible to this type of
4 corrosion, which occurs over time when the
5 steel is exposed to sulfur-containing
6 hydrocarbons at high temperatures. Steel
7 piping that happens to be low in the element
8 silicon corrodes especially quickly.

9 The CSB learned that sulfidation
10 corrosion had caused a major failure at
11 Chevron's refinery in Salt Lake City, Utah in
12 2002. Chevron then performed an enhanced
13 inspection of the number four sidecut pipe at
14 the Richmond refinery. It revealed
15 accelerated thinning in the piping section
16 that would ultimately fail in 2012.

17 Replacement was recommended, but this did not
18 occur, and the section of piping was never
19 inspected again.

20 In 2009, Chevron experts
21 recommended that every segment of high risk
22 carbon steel piping be inspected for

1 corrosion, however this was not done. During
2 a maintenance turnaround of the crude unit in
3 2011, Chevron inspectors examined some, but
4 not all, locations along the number four
5 sidecut, and found significant thinning. Some
6 sections were replaced, but managers decided
7 that the line was thick enough to stay in
8 service and that an overall replacement could
9 wait up to five more years.

10 According to CSB investigators, a
11 key lesson is that each and every segment of
12 the piping should have been inspected. Most
13 importantly, the pipe should have been
14 replaced much earlier with an inherently safer
15 corrosion-resistant alloy. The CSB also
16 concluded that, had the crude unit been shut
17 down when the leak was first noticed, the
18 massive fire likely would not have occurred,
19 the 19 workers would never have been
20 endangered, and the community would have been
21 protected.

22 For more information on the CSB

1 Chevron investigation, please visit CSB.gov.

2 "Ground monitor, we're going to
3 supply from this hydrant. We've got to supply
4 that ground monitor with our five-inch."

5 "I see it. Actually, you may want
6 to add" --

7 "Back in. We're going to back
8 in."

9 "All right. We'll jump out."

10 (Whereupon, the video ended.)

11 (Applause.)

12 INVESTIGATOR TILLEMA: In our
13 presentation this evening, Lauren Grim will
14 detail the technical causes of the incident,
15 describe opportunities to replace the four
16 sidecut pipe, and will discuss the importance
17 of process hazard analyses and the thorough
18 evaluation of safeguards.

19 Roger Evans will then describe
20 inherently safer systems and ways to improve
21 the California regulatory system.

22 And finally, Steve Cutchen will

1 present our proposed recommendations to the
2 Board.

3 I will now turn the presentation
4 over to Investigator Lauren Grim.

5 INVESTIGATOR GRIM: Thank you,
6 Dan. As shown in the video that you have just
7 seen, the four sidecut pipe wall became
8 extremely thin due to sulfidation corrosion
9 and ultimately ruptured. Sulfidation
10 corrosion rates are fastest in carbon steel,
11 which is a plain, basic steel. This was the
12 material of construction of the four sidecut
13 piping that failed at the Chevron refinery
14 here in Richmond. Other metallurgies, like
15 high-chromium steels, thin at a much slower
16 rate.

17 These metallurgies are referred to
18 as inherently safer metallurgies, because they
19 reduce the risk presented by sulfidation
20 corrosion. This animation shown here on this
21 slide shows a pipe cross section demonstrating
22 how the four sidecut line would corrode

1 depending on the line's material of
2 construction. We can see how low-silicon
3 carbon steel and regular carbon steel thin
4 over a 15 year time period when compared to
5 inherently safer steels 9-Chrome and stainless
6 steel.

7 Inherently safer systems experts
8 Paul Amyotte, who is a member of our panel
9 this evening, and Trevor Kletz published an
10 augmented version of the well known risk
11 reduction tool called A Hierarchy of Controls
12 by including concepts of inherently safer
13 systems. For example, replacing metallurgy
14 with an upgraded inherently safer material of
15 construction is a high ranking technique to
16 implement inherently safer design.

17 Piping circuits, such as the
18 Chevron refinery four sidecut piping circuit,
19 are comprised of many piping components,
20 including elbows, straight piping, tees and
21 fittings. In this example shown on the slide,
22 the straight-run piping components are in

1 yellow and the tees and fittings are in gray.
2 Components in piping circuits such as this one
3 are usually connected by welds, which are
4 shown here as red lines on this slide.

5 To monitor corrosion rates,
6 companies are required by regulation to
7 measure piping thickness at periodic locations
8 throughout piping circuits. These measurement
9 locations are typically placed on elbows and
10 fittings. We have found, however, that this
11 presents a problem when measuring sulfidation
12 corrosion in carbon steel piping circuits.
13 Carbon steel elbows and fittings generally
14 contain high percentages of silicon. If there
15 are low-silicon piping components in the
16 circuit, like the straight-run red piping
17 components seen in this slide, they may thin
18 significantly faster than the measured high-
19 silicon fittings, possibly leading to rupture.
20 This is what happened on August 6th here in
21 Richmond.

22 To identify the low-silicon

1 components, such as the ones shown in red
2 here, 100 percent component inspection, by
3 either thickness testing or chemical
4 laboratory testing, must be performed.

5 Here we see a photo that was taken
6 in a laboratory of the pipe component that
7 failed at the Chevron refinery. Directly
8 upstream of the component is an elbow. This
9 elbow contained a high percentage of silicon,
10 and this was also a location where inspectors
11 regularly measured the four sidecut pipe
12 thickness.

13 The component that failed
14 contained an extremely low percentage of
15 silicon, and it was not regularly thickness
16 tested. The high corrosion rates that it
17 experienced were unknown until it ultimately
18 failed on August 6th.

19 We'll now take a closer look at
20 the failed piping component. The yellow
21 rectangle that you can see in this photo is a
22 sample that was cut in our metallurgical

1 laboratory. It consists of a portion of the
2 elbow, the failed component, and the weld that
3 connects the two.

4 When viewing the cross section of
5 this sample, we can see the extreme variation
6 in thinning that occurred in the Chevron four
7 sidecut piping circuit. The ruptured
8 component was approximately 90 percent thinner
9 than the adjacent elbow, and this component
10 also contained almost 94 percent less silicon
11 than the elbow.

12 We do have the cross section of
13 the sample here with us this evening on a
14 posterboard.

15 The August 6th Chevron incident
16 was preventable. The refining industry has
17 been aware of risks associated with low-
18 silicon carbon steel since as early as 1974.
19 In addition, Chevron employees are highly
20 qualified individuals with considerable
21 sulfidation corrosion expertise. These
22 employees made numerous recommendations to

1 either inspect or upgrade the four sidecut
2 piping circuit.

3 The blue arrows you see appearing
4 now on the screen were recommendations to
5 increase inspection of the four sidecut line,
6 and the red arrows are recommendations to
7 replace the four sidecut with an upgraded,
8 inherently safer material of construction.
9 None of these recommendations were fully
10 implemented over the 10 years leading to this
11 incident.

12 The component that ultimately
13 failed due to low silicon was not inspected in
14 the past 10 years, and the piping was never
15 replaced. While numerous, these
16 recommendations were not audited or enforced
17 by the regulator, in part because they were
18 not included in Chevron's process hazard
19 analysis.

20 A process hazard analysis, or a
21 PHA, is an element of OSHA's process safety
22 management program. This is a regulation that

1 covers chemical processes containing a
2 threshold quantity of dangerous chemicals,
3 such as those at the Chevron refinery. PHAs
4 have been required since 1992, 20 years before
5 the August 6th Chevron incident. The PHAs
6 performed by the Chevron Richmond refinery are
7 enforceable by California's OSHA regulator,
8 Cal OSHA, and by the City of Richmond, who
9 designates their inspection authority to
10 Contra Costa County.

11 PHAs are performed by a team of
12 experts who are very familiar with the
13 process, and they are also required to be
14 updated every five years. Using established
15 methodologies, PHAs systematically assess a
16 chemical process for potential hazards, and
17 they identify safeguards to protect against
18 those hazards. Possible hazards can come from
19 considering process upsets, such as changes in
20 flow, changes in temperature and changes in
21 pressure.

22 During Chevron's PHAs, the PHA

1 team is tasked to identify possible causes and
2 consequences of hazards, and to identify
3 existing and needed safeguards to protect
4 against those hazards. If the hazard is not
5 sufficiently protected against, the team then
6 makes recommendations for improvements.

7 In the most recent Chevron
8 Richmond refinery crude unit PHA, one of the
9 hazards analyzed was a leak or rupture of the
10 four sidecut line. However, none of the
11 employees on the PHA team had knowledge of
12 sulfidation corrosion risks in the four
13 sidecut line. Also, no individuals with
14 specific four sidecut corrosion expertise were
15 consulted during this process, and as a result
16 this damage mechanism was not identified as a
17 risk in the four sidecut piping circuit. No
18 recommendations were made to improve the four
19 sidecut safeguards during this process by
20 increasing the metallurgy to an inherently
21 safer material of construction.

22 A damage mechanism hazard review

1 could have assisted the PHA team in
2 understanding sulfidation corrosion risks in
3 the four sidecut piping circuit. Failure
4 mechanisms, such as corrosion and cracking,
5 that can weaken piping and equipment are
6 called damage mechanisms. Damage mechanism
7 hazard reviews ensure that these potential
8 hazards are properly identified and analyzed.
9 They also ensure that safeguards are used to
10 control or eliminate this hazard.

11 In the United Kingdom, this type
12 of review is used in the offshore industry.
13 The Health and Safety Executive, and Chevron
14 as well, participated in the development of
15 the guidance document that establishes this
16 practice. However, in the United States,
17 damage mechanism hazard reviews are not
18 required or recommended by Federal OSHA or Cal
19 OSHA.

20 Had a damage mechanism hazard
21 review been required as part of the PHA cycle,
22 the PHA team could have used the review's

1 findings when identifying hazards and issuing
2 safeguard recommendations. These
3 recommendations could have included improving
4 the metallurgy of the four sidecut piping
5 circuit and upgrading it to an inherently
6 safer material of construction.

7 Reporting findings from damage
8 mechanism hazard reviews to California
9 regulatory bodies will allow regulators to
10 target their inspections and ensure
11 effectiveness of these process safety
12 programs. The implementation of damage
13 mechanism hazard reviews can be used to create
14 leading and lagging indicators for the
15 regulator. Leading indicators are used to
16 predict future performance and are a very
17 preventative tool, and on the other hand
18 lagging indicators are facts about past events
19 that have occurred.

20 Once hazards are identified via
21 damage mechanism hazard reviews and the PHA
22 process, it is necessary to ensure that

1 safeguards exist and that they will
2 effectively control the hazards identified.
3 The identification of safeguards is very
4 important. It's necessary to determine
5 whether the safeguards will work, and it's
6 also necessary to determine if they will
7 reduce the risk of the hazard enough to
8 provide adequate protection.

9 There are methodologies for
10 consistently and objectively making these
11 determinations. These methods can include
12 industry recognized tools, like layers of
13 protection analysis, or LOPA. Chevron does
14 not employ a prescribed methodology for
15 determining whether a safeguard will be
16 effective. Instead, Chevron relies upon the
17 judgment of the people on the PHA team, who
18 base their conclusions upon their experiences,
19 their beliefs, and their areas of expertise.

20 In its 2009 crude unit PHA,
21 Chevron simply cited nonspecific personal
22 judgment-based safeguards. These included,

1 and I quote, "using metallurgy to minimize
2 corrosion, having effective maintenance and
3 inspection programs, and providing pipe wall
4 corrosion allowances," end quote.

5 However, the effectiveness of
6 these safeguards was not evaluated or
7 documented. Instead, Chevron merely listed
8 the safeguards in the PHA. Had a rigorous
9 analysis been performed to determine if
10 metallurgy actually was in place to minimize
11 corrosion, it could have been identified that
12 the four sidecut piping needed to be upgraded.
13 They could have then made a recommendation to
14 replace the piping with an inherently safer
15 material of construction.

16 Such a recommendation made during
17 the PHA process can then be enforced by Cal
18 OSHA and Contra Costa County. The reason for
19 not implementing the recommendation can also
20 then be questioned by the regulator.

21 That concludes the technical
22 portion of the presentation, and I will now

1 turn it over to Investigator Roger Evans, who
2 will discuss inherently safer systems.

3 (Applause.)

4 INVESTIGATOR EVANS: Thank you,
5 Lauren. Regulations of Contra Costa County
6 and the City of Richmond require facilities to
7 look for opportunities to implement inherently
8 safer systems in both PHAs and during the
9 construction of new processes. However, the
10 City and County regulations are currently
11 permissively worded. The regulations only
12 require that analysis be considered by using
13 language that the company, quote, "shall
14 consider the use of inherently safer systems,"
15 end quote.

16 Contra Costa County provides a
17 checklist, as shown here, to companies to
18 provide the company to look for opportunities
19 to implement inherently safer systems. One of
20 the prompts asks the company to analyze if
21 they are using corrosion-resistant material.
22 Chevron's response stated, and I quote,

1 "vessel specifications and piping
2 classifications include a conservative wall
3 thickness and an appropriate corrosion
4 allowance for each surface," end quote.

5 As part of their inherently safer
6 systems review, Chevron did not attempt to
7 actually look for opportunities to use more
8 corrosion-resistant materials, despite the
9 numerous recommendations made over the years
10 to replace the four sidecut piping with an
11 upgraded material. The regulators indicated
12 to Chevron that it complied with the
13 regulation, even though Chevron made no
14 rigorous attempt to implement inherently safer
15 systems.

16 Contra Costa County and the City
17 of Richmond regulations are a positive step
18 forward in improving process safety to include
19 concepts of inherently safer systems.

20 However, while having a good intention, these
21 inherently safer system requirements were
22 performed as a check-the-box exercise by

1 Chevron.

2 Contra Costa County and the City
3 of Richmond require covered facilities to look
4 for potential opportunities to implement
5 inherently safer systems in the PHAs and in
6 new constructions. In addition to PHAs and
7 new construction, companies have many
8 additional opportunities to implement
9 inherently safer design. Companies currently
10 analyze unit designs, and could implement
11 inherently safer systems, during management
12 change, process unit rebuilds, major repairs,
13 and when developing corrective actions from
14 investigation recommendations.

15 Also, as we have discussed, there
16 were a number of opportunities in the 10 years
17 leading up to the incident to implement
18 inherently safer systems. Had more rigorous
19 and encompassing requirements to find
20 opportunities to implement inherently safer
21 systems been required by the City of Richmond,
22 Contra Costa County, and the State of

1 California, this incident could have been
2 prevented.

3 We've talked about hazard
4 identification, safeguards, and inherently
5 safer systems. All of these help to reduce
6 risk. How can a company determine the amount
7 of safeguards required to control hazards to
8 minimize risk? Hazard tools, such as LOPA,
9 can be used to help an organization decide if
10 a scenario or a hazard has been minimized.
11 The goal should be that the risk is reduced to
12 as low as reasonably practicable, or ALARP.
13 ALARP is a widely accepted risk reduction
14 goal. Risk reduction efforts are continued to
15 the practical limit.

16 Using LOPA or other accepted
17 hazard analysis tools to achieve risks that
18 are as low as reasonably practicable can
19 confirm to the company that their safeguards
20 are adequate, inherently safer design is
21 optimally in place, and their process is as
22 low risk as practicable.

1 If Chevron had used LOPA or
2 similar methods to reduce risks to as low as
3 reasonably practicable, Chevron could have
4 prevented the August 6th incident.

5 To ensure all these hazard
6 identification and risk reduction tools are
7 used effectively, the patchwork of regulatory
8 systems in California need to work together.
9 A multi-agency approach is needed by
10 California. By working together, the agencies
11 will improve the public accountability and
12 process safety performance of California
13 process facilities. The sharing of
14 information and joint inspections will
15 increase the cumulative knowledge of these
16 bodies and can drive down the occurrence of
17 major accidents.

18 These groups will be able to
19 target inspections and coordinate operations,
20 working effectively and efficiently. Not only
21 is it important that regulators work together,
22 there are other stakeholders that have an

1 interest in process safety and the impact on
2 the community. There must be transparency so
3 that process industries are accountable to all
4 stakeholders.

5 There is currently a lack of
6 transparency of refineries to their regulators
7 and the public. Transparency, or the public
8 disclosure of safety information, can be
9 successful in driving process safety
10 improvement. The EPA Emergency Preparedness
11 and Prevention Office notes that, quote,
12 "information about hazards in a community will
13 allow local emergency officials and the public
14 to work with industry to prevent accidents,"
15 end quote.

16 In addition, process safety can be
17 further improved by fully involving the
18 experts, the workforce of the company, in risk
19 assessments, inspections, audits and
20 performance reviews. This workforce
21 involvement leads to empowerment, management
22 responsiveness, and process safety performance

1 improvement.

2 This graph illustrates the type of
3 data that improved transparency could provide
4 stakeholders. In the decades preceding the
5 incident, the sulfur content in this four
6 sidecut line increased by over 80 percent.
7 This major increase in sulfur and other
8 process changes sped up the corrosion rate of
9 the four sidecut piping. With increased
10 transparency, this type of information would
11 be provided to regulators, to community
12 officials, and interest groups.

13 In summary, many factors
14 contributed to the August 6th Chevron
15 incident. The immediate cause of this
16 incident was sulfidation corrosion. Also,
17 Chevron failed to shut down the unit when the
18 leak was initially found.

19 But why was this extremely thin
20 pipe there to fail? We have identified both
21 Chevron organizational and California
22 regulatory causal factors. Despite many

1 recommendations from Chevron employees to
2 inspect and to replace the four sidecut line,
3 these recommendations were never implemented.
4 Also, in their PHA process, a regulated
5 analysis, sulfidation corrosion was never
6 identified as a hazard in the four sidecut
7 line.

8 California regulatory causal
9 factors also contributed to this incident.
10 We'd like to emphasize that Contra Costa
11 County is one of a very small number of
12 regulatory systems that has inherently safer
13 systems requirements. Also, Cal OSHA is one
14 of the few states that has a PSM group.

15 However, in our investigation, we
16 found that despite the advances, the existing
17 regulations do not require damage mechanism
18 hazard reviews or the evaluation of safeguard
19 effectiveness. Additionally, current
20 inherently safer system requirements in Contra
21 Costa County and the City of Richmond are
22 overly permissive and do not require rigorous

1 analysis.

2 There are also many opportunities
3 to implement inherently safer systems that are
4 not currently required. Regulatory
5 enforcement can be improved by California
6 agencies working together and sharing
7 information. Finally, enhanced transparency
8 will hold facilities accountable to the
9 regulators, the workforce, and the public.

10 The CSB investigation team is
11 working on a final report that we're planning
12 to release later this year. We are analyzing
13 key issues, including California regulatory
14 effectiveness, Chevron's organizational
15 safety, Chevron's mechanical integrity system,
16 including the use of clamps on hydrocarbon
17 piping, and Chevron's emergency planning and
18 notification and response systems. We will
19 also be investigating Chevron's use of process
20 safety indicators, which are an important part
21 of implementing a strong process safety
22 program.

1 This concludes our findings this
2 evening. I will now turn the presentation
3 over to Investigator Steve Cutchen, who will
4 present our proposed recommendations.

5 (Applause.)

6 INVESTIGATOR CUTCHEN: Thank you,
7 Roger.

8 Based on our analysis and
9 findings, the investigation team proposes to
10 the Board the following recommendations.
11 These first recommendations will improve the
12 analysis of damage mechanisms and process
13 safeguards in the required process hazard
14 analysis cycle.

15 Chevron did not perform a damage
16 mechanism hazard review with its most recent
17 crude unit PHA. The PHA team missed a key
18 opportunity to identify corrosion hazards in
19 the four sidecut line. The conduct of damage
20 mechanism hazards reviews will ensure the
21 identification of hazardous corrosion and
22 cracking present in refinery processes so that

1 preventative inherently safer systems may be
2 implemented.

3 To Chevron USA, this is an urgent
4 recommendation to Chevron, so this important
5 process must be immediately initiated at all
6 Chevron U.S. refineries. Chevron has six
7 months to implement this recommendation. This
8 recommendation is also to the California State
9 Legislature and the Governor of California.

10 Require all refineries to engage a
11 diverse team of qualified personnel to perform
12 a documented damage mechanism hazard review.
13 This review shall be an integral part of the
14 process hazard analysis cycle, and shall be
15 conducted on all PSM-covered process piping
16 circuits and process equipment.

17 The damage mechanism hazard review
18 shall identify potential damage mechanisms and
19 the consequences of failure, and shall ensure
20 that safeguards are in place to control
21 hazards presented by those damage mechanism.
22 Analyze and incorporate into this review

1 applicable industry best practices and
2 inherently safer systems to the greatest
3 extent feasible.

4 To the Mayor and City Council,
5 City of Richmond, California. To the Board of
6 Supervisors, Contra Costa County, California.
7 And to the California State Legislature and
8 the Governor of California: Monitor and
9 confirm the effective implementation of the
10 damage mechanism hazard review program, so
11 that all necessary mechanical integrity work
12 is identified and recommendations at
13 California refineries are completed in a
14 timely way. Indicators are used to monitor
15 how well a company is performing in process
16 safety. These recommendations focus on the
17 need for indicator reporting to the regulator.

18 To Chevron USA: For Chevron, this
19 is a second, urgent recommendation, and this
20 recommendation is also to the California State
21 Legislature, Governor of California. At all
22 California refineries, require the

1 identification and reporting of leading and
2 lagging process safety indicators, such as the
3 action item completion status of
4 recommendations from damage mechanism hazard
5 reviews to Federal, State and Local regulatory
6 agencies that have chemical release prevention
7 authority.

8 It is vital that safeguards are
9 thoroughly evaluated and verified during the
10 process hazard analysis process. These
11 recommendations aim to require this evaluation
12 and verification.

13 To the Mayor and City Council,
14 City of Richmond, California. To the Board of
15 Supervisors, Contra Costa County, California.
16 And to the California State Legislature,
17 Governor of California: Require that process
18 hazard analyses include documentation of the
19 recognized methodologies, rationale and
20 conclusions used to claim that safeguards
21 intended to control hazards will be effective.
22 This process shall use established

1 qualitative, quantitative and/or semi-
2 quantitative methods, such as layers of
3 protection analysis, or LOPA.

4 The use of inherently safer
5 systems can drive risks down to as low as
6 reasonably practicable. A more rigorous
7 requirement for inherently safer systems
8 implementation is needed by California
9 regulators.

10 To the Mayor and City Council,
11 City of Richmond, California. To the Board of
12 Supervisors, Contra Costa County, California.
13 And to the California State Legislature,
14 Governor of California: Require the documented
15 use of inherently safer systems analysis in
16 the Hierarchy of Controls to the greatest
17 extent feasible in establishing safeguards for
18 identifying process hazards. The goal shall
19 be to drive the risk of major accidents as low
20 as reasonably practicable (ALARP). Include
21 requirements for inherently safer systems
22 analysis to be automatically triggered for all

1 management of change and process hazard
2 analysis reviews, prior to the construction of
3 new processes, process unit rebuilds,
4 significant process repairs and in the
5 development of corrective actions from
6 incident investigation recommendations.

7 Regulatory enforcement can be
8 improved by California agencies working
9 together and sharing information. Also,
10 enhanced transparency will hold process
11 facilities accountable to regulators, the
12 workforce, and the public. There are four
13 parts to this recommendation.

14 To the California State
15 Legislature, Governor of California: Establish
16 a multi-agency process safety regulatory
17 program for all California oil refineries to
18 improve the public accountability,
19 transparency and performance of chemical
20 accident prevention and mechanical integrity
21 programs.

22 This program shall (1) establish a

1 system to report to the regulator the
2 recognized methodologies, findings,
3 conclusions and corrective actions related to
4 refinery mechanical integrity inspection and
5 repair work arising from process hazards
6 analysis, California oil refinery turnarounds,
7 and maintenance-related shutdowns;

8 (2) require reporting of
9 information, such as damage mechanism hazard
10 reviews, notice of upcoming maintenance-
11 related shutdowns, records related to proposed
12 and completed mechanical integrity worklists,
13 and the technical rationale for any delay in
14 work proposed but not yet completed;

15 (3) establish procedures for
16 greater workforce and public participation,
17 including the public reporting of information;

18 (4) provide mechanisms for
19 Federal, State and Local agency operational
20 coordination, sharing of data, including
21 safety indicator data, and joint accident
22 prevention activities.

1 The California Department of
2 Industrial Relations will be designated as the
3 lead state agency for establishing a
4 repository of joint investigative and
5 inspection data, and coordinating the sharing
6 of data in joint accident prevention
7 activities.

8 To the U.S. Environmental
9 Protection Agency: Jointly plan and conduct
10 inspections with Cal OSHA, California EPA, and
11 other State and Local regulatory agencies with
12 chemical accident prevention responsibilities
13 to monitor the effective implementation of
14 damage mechanism hazard review and disclosure
15 requirements under recommendations 9 and 10.

16 And in case you don't recall them
17 by number, recommendation 9 to the California
18 State Legislature, Governor of California,
19 requires that refineries perform a documented
20 damage mechanism hazard review.

21 Recommendation 10, also to the California
22 State Legislature, Governor of California,

1 requires that refineries identify and report
2 leading and lagging process safety indicators.

3 To the Board of Supervisors,
4 Contra Costa County, California. To the Mayor
5 and City Council, City of Richmond,
6 California. To the California Air Quality
7 Management Divisions. And to the U.S.
8 Environmental Protection Agency, and to the
9 California Environmental Protection Agency:
10 participate in the joint regulatory program
11 described in Recommendation 11. This
12 participation shall include contributing
13 relevant data to the repository of
14 investigation and inspection data created by
15 the California Department of Industrial
16 Relations and jointly coordinating activities.

17 And in case you don't recall,
18 recommendation 11 to the California State
19 Legislature, Governor of California, is the
20 four part recommendation that requires the
21 establishment of a multi-agency process safety
22 regulatory program for all California oil

1 refineries.

2 That concludes our investigation
3 presentation.

4 (Applause.)

5 CHAIRPERSON MOURE-ERASO: Thank
6 you very much to the panel. I thank you for
7 your work. It has been more than six months
8 of very sleepless nights, I know, from all the
9 people here, and I really very much appreciate
10 all the effort that this panel has put into
11 this report. Thank you.

12 Our next issue on the agenda is
13 statements by elected officials. The first
14 statement I would like to invite, the
15 Congressman from California, George Miller, is
16 going to present a statement. Congressman
17 Miller?

18 (Applause.)

19 REPRESENTATIVE MILLER: Thank you
20 very much, Mr. Chairman. Before I begin
21 speaking, maybe we can take a moment for a
22 sigh of relief that the second suspect in

1 Boston has been apprehended, and an expression
2 of gratitude to our first responders at all
3 levels of agencies and government. That's
4 some good news.

5 (Applause.)

6 REPRESENTATIVE MILLER: I want to
7 thank you, Mr. Chairman and Members of the
8 Board, for allowing us this time to speak to
9 you in response to the initial report. And I
10 want to express our gratitude, I hope for our
11 whole community, for the professionalism and
12 the diligence and the persistence of your
13 investigative staff since the time of the
14 accident. They've been remarkable in their
15 leadership and in their willingness to work
16 with our other agencies at the county and
17 state level. So thank you very much for that
18 effort by the Chemical Safety Board.

19 The massive fire that occurred on
20 August 6th threatened the lives of workers who
21 escaped the vapor cloud, and had a direct and
22 tangible impact on the West County community.

1 The investigation by the CSB, Cal OSHA and
2 Chevron suggests deeper problems than whether
3 or not Chevron should have replaced a corroded
4 piece of pipe that eventually leaked.

5 First, we have learned that
6 Chevron's metallurgist and inspection teams
7 had put up a red flag since 2002, and as
8 recently as the 2011 turnaround, calling for
9 the replacement of the corroded piping.

10 Second, the investigation reports
11 indicate that Chevron had repeatedly failed to
12 implement its internal guidance, which called
13 for 100 percent inspection of all piping
14 components where there is potential for
15 sulfidation corrosion. Chevron also failed in
16 the implementation of recommended practices
17 developed by the American Petroleum Institute,
18 even though they'd helped to develop these
19 guidances based upon numerous catastrophic
20 failures over the past 40 years.

21 Third, we have learned that over
22 the past 10 years Chevron has patched pipe

1 that was too thin or was leaking with over
2 2,000 clamps. Nearly 400 of these were used
3 in hydrocarbon service, and in some cases when
4 clamps leaked Chevron slapped even bigger
5 clamps on top of the leaking clamps. And when
6 Cal OSHA finally looked into this, they found
7 that the defective pipe had not been replaced
8 as required during the next turnaround. I
9 must say that I agree with Member Beth
10 Rosenberg, that this begs a much larger set of
11 questions.

12 Chevron has pointed to its
13 operational excellence program as the
14 cornerstone of its safety culture. It is
15 founded on two key principles. One, and I
16 quote, "do it safely or not at all," unquote.
17 And the second one, "there is always time to
18 do it right."

19 What happened to these principles?
20 Are these principles something that was
21 discarded when it was inconvenient? Someone
22 needs to answer this question. How did the

1 management of a highly sophisticated
2 corporation lack the ability to connect the
3 expertise of its physical materials
4 scientists, located right here in Richmond,
5 with the practices of its business units
6 operating 300 yards away in its refinery?

7 Was there an organizational
8 failure? Are there other cracks lurking in
9 Chevron's management systems? Does Chevron
10 have the same problems at its El Segundo
11 refinery? Is this an industry-wide refinery
12 problem? I hope that the Safety Board's final
13 report gets to the bottom of these questions.
14 Why was Chevron's inspection team's advice to
15 replace the piping overridden during the 2011
16 refinery turnaround? Was the decision not to
17 replace this piping driven by budget
18 considerations? How much was saved? Did
19 someone pencil whip the numbers to justify
20 keeping the corroding pipe in place a little
21 longer?

22 I urge the Safety Board to tackle

1 these unanswered questions in its final
2 report. I am aware that Supervisor Gioia and
3 the County Health Department under Randy
4 Sawyer's leadership is also doing a
5 comprehensive audit of the Richmond refinery,
6 and hopefully this work will help shed light
7 on these questions.

8 The need for effective regulations
9 -- because our second overarching concern is
10 the lack of the effective regulations to serve
11 as a check and balance. Chevron cannot
12 currently guarantee the security of the
13 workers and our community. Inspection by the
14 company alone is not enough, and it is
15 troubling that the regulators did not
16 recognize the magnitude of the problem and did
17 not bend Chevron back into compliance.

18 We know that Cal OSHA is severely
19 underresourced, with a mere seven professional
20 staff in its process safety unit to tackle
21 1,600 facilities statewide, and I think that's
22 why we see some of the recommendations of your

1 staff. We cannot tolerate these once-over
2 lightly programmed inspections at these
3 facilities.

4 I have written to Governor Brown
5 asking that he submit a budget proposal that
6 would assess a process safety fee on
7 refineries and other chemical facilities so
8 that there is enough staff to oversee these
9 facilities in a more thorough manner.

10 (Applause.)

11 REPRESENTATIVE MILLER: In case
12 anyone is worried about the added cost, it
13 amounts to less than one cent of every barrel
14 of crude that is fed through the refineries in
15 California. That is far less than the
16 increased gasoline prices paid by consumers
17 due to the refinery outage.

18 I want to commend Senators Loni
19 Hancock, Mark DeSaulnier, and Assemblymember
20 Nancy Skinner for their leadership and working
21 hard to get funding to hire more inspectors.
22 They recognize the status quo is unacceptable.

1 They have also been working on the
2 improvements to the State's workplace safety
3 laws and evaluating ideas for better
4 regulation systems for refineries, and I want
5 to help them get those improvements as soon as
6 we possibly can.

7 I would like to hear from the
8 Chemical Safety Board what the definitive
9 schedule will be for a final report that will
10 answer these big questions that your interim
11 report has raised, but does not answer: Were
12 the budget considerations a driver in the
13 failure to replace the piping? Does Chevron
14 have a safety culture problem, as raised by
15 Board Member Griffon?

16 These are serious considerations.
17 It would be not the first time this Board has
18 considered that question. We saw it in the
19 Alyeska Pipeline, where for almost a decade
20 the culture problem was admitted to and never
21 cured.

22 Were there organizational

1 failures, and are there other cracks in the
2 safety system? What is broken in the current
3 regulatory system, and do we need to look for
4 a new way to regulate refinery safety? I
5 think the presentation tonight goes a long way
6 towards answering that question, but we have
7 to answer it from the corporate side for the
8 safety of our community and our workers.

9 In light of the large backlog of
10 unfinished investigations at CSB and the
11 constant demand for work that you notice today
12 because of the Texas explosion and the burden
13 that that puts on your Board and staff, I
14 would also ask that you provide a clear date
15 when the community will get a final report
16 with the answers to these questions.

17 I look forward to hearing from
18 you, and a response in the near future. I
19 have seen too many refinery accidents in my
20 years representing this community, and I want
21 to see some meaningful solutions emerge from
22 this discussion.

1 Again, I want to thank you so very
2 much for your endeavor here, for your
3 professionalism, and again for the
4 professionalism and the diligence and the
5 expertise of your staff. Thank you very much.
6 We look forward to your responses.

7 (Applause.)

8 CHAIRPERSON MOURE-ERASO: Thank
9 you very much, Congressman Miller. Now I
10 would like to call for a statement to John
11 Gioia, the Chairman of the Contra Costa Board
12 of Supervisors.

13 MR. GIOIA: Thank you. I am not
14 chair this year, so let me just clarify that.

15 CHAIRPERSON MOURE-ERASO: Okay.

16 MR. GIOIA: I'm also a member of
17 the Bay Area Air Quality Management District,
18 and let me first start by saying we welcome
19 the Chemical Safety Board coming to Richmond.
20 Your investigation, report and recommendations
21 are thorough and comprehensive. Personally,
22 I appreciate the attention, transparency and

1 professional­ism that you have brought to this
2 investigation.

3 I know that all Richmond residents
4 care and have an interest in ensuring that our
5 safety and health come first and foremost when
6 it comes to the operation of an industrial
7 facility. I personally know this well. In
8 1999, I was forced to pick up my son from a
9 local elementary school near the Chevron
10 refinery while a release was going on and
11 while shelter in place was going on, and I
12 felt the same fear and uncertainty as I know
13 other Richmond residents felt at that time.

14 I think the most important
15 conclusion in your report is that this
16 accident is not about pipe corrosion, but is
17 about corporate decisionmaking. It's about
18 the need to improve the safety culture and
19 decisionmaking at the refinery. Things like
20 deciding in advance on which materials to use
21 which are safer, frequency of inspections and
22 maintenance, and when to replace equipment and

1 pipes.

2 So as you've said, while we're
3 fortunate that Richmond and Contra Costa
4 County have, in your own assessment, the
5 strongest local industrial safety ordinance in
6 the country, we also know that this ordinance
7 can be further improved. Both the Contra
8 Costa Health Department and myself personally
9 welcome your recommendations, and especially
10 your two main recommendations to improve the
11 industrial safety ordinance, first requiring
12 the use of inherently safer systems prior to
13 the construction of new processes, prior to
14 process unit rebuilds, prior to significant
15 process repairs, or when implementing
16 corrective actions after an incident like the
17 one that just occurred.

18 This will give both Contra Costa
19 County and Richmond power to force refineries
20 to use inherently safer systems, a power that
21 we don't have today.

22 Second, requiring a process hazard

1 analysis conducted by refineries to use
2 quantitative and qualitative methods to
3 document that the refinery is using the safest
4 methodology to control hazards within its
5 facility.

6 Immediately after the Chevron
7 accident, the Contra Costa Board of
8 Supervisors formed an ad hoc Committee of the
9 Board, including myself and Supervisor Federal
10 Glover, to address the issue of the industrial
11 safety ordinance. We have awaited your
12 recommendations, and now that you have made
13 these specific recommendations we will work
14 with Richmond to quickly implement these
15 changes in the local ordinance.

16 (Applause.)

17 MR. GIOIA: Let me also say, we've
18 already taken action. Several weeks ago under
19 the current ISO Contra Costa County ordered a
20 full safety culture audit of the Chevron
21 refinery to be conducted by an independent
22 professional entity. An oversight committee

1 made up of community residents, workers at the
2 refinery, Health Department staff and City
3 staff will be established to ensure that the
4 safety audit is conducted in a transparent,
5 thorough and independent manner.

6 Under the industrial safety
7 ordinance, we have the authority to require
8 Chevron to pay for this study.

9 Finally, last year in my role as
10 Chair of the Bay Area Air Quality Management
11 District I proposed, and the Air Board voted,
12 to work with Senator Hancock and Assemblywoman
13 Skinner to carry a bill to increase the
14 maximum fines under State law for air quality
15 violations. The current maximum fines are
16 nowhere near high enough to be an incentive.
17 They are too low.

18 (Applause.)

19 MR. GIOIA: And we appreciate the
20 support of our local legislators in carrying
21 that bill. We know we will face opposition
22 from industry. And I think your

1 recommendations going forward, in your final
2 report, encouraging that would be helpful.

3 So again, thank you, even under
4 these circumstances, for coming to Richmond
5 and setting a model in terms of how an
6 investigation should be conducted, in terms of
7 your transparency and your professionalism.
8 Thank you.

9 (Applause.)

10 CHAIRPERSON MOURE-ERASO: Thank
11 you very much. Thank you very much, Mr.
12 Gioia. I would like to invite now one person
13 that has been a very gracious host for us
14 here, or I would say hostess, in the City of
15 Richmond. I would like to invite Ms. Gayle
16 McLaughlin, the mayor of the City of Richmond.

17 (Applause.)

18 MAYOR McLAUGHLIN: Hello. Thank
19 you. Thank you so much to the Chairman and
20 the entire Chemical Safety Board, and all the
21 staff of the Safety Board, for coming to
22 Richmond, for being here today to share with

1 us the interim results of your investigation.

2 The August 6th fire was a
3 devastating experience for our community. Not
4 only were 15,000 people treated at local
5 hospitals, but the workers had their lives put
6 at great risk. We were forced to stay in our
7 homes and shelter in place for hours. The
8 damage to our health, to our community, to the
9 image of our city, was massive.

10 And this wasn't the first time
11 Chevron has wreaked havoc in our community.
12 There have been many, many incidents over
13 recent years and decades. In fact, there was
14 a fire in the same crude unit that occurred in
15 2007.

16 We need to have Chevron understand
17 that our community is not going to forget
18 about this. We cannot afford to forget about
19 these incidents. These incidents have been
20 harming us again and again. There have been
21 around 14 incidents since 1989, 1990, and this
22 last incident, this 2012 incident, was the

1 last straw.

2 It reminds me of a metaphor. You
3 know, I think we've all heard of the abused
4 spouse syndrome, where the abused spouse takes
5 the abuse and the next day, after the abuse,
6 the spouse comes and says to him or her that
7 "I'm so sorry, it'll never happen again." And
8 it happens again. And it happens again. And
9 it happens again. But sometimes abused
10 spouses wake up, and abused communities wake
11 up. And that is going to happen, and is
12 happening in the Richmond community.

13 (Applause.)

14 MAYOR McLAUGHLIN: Many of you
15 remember, many of you in the community
16 remember that it wasn't that long ago that we
17 had a majority of Chevron-influenced
18 officeholders on the Richmond City Council.
19 We used to call them the Chevron Five. And we
20 still have some Chevron-influenced and
21 Chevron-backed officeholders on the Richmond
22 City Council, but we're pushing forward, and

1 we're going to continue to push forward.

2 We have an organized, mobilized
3 community, and I call on all of our community
4 to continue to mobilize. Call on your
5 neighbors. Let people know we cannot and will
6 not forget this incident, and past incidents,
7 and we will not suffer a future incident,
8 because we will make sure that these wonderful
9 recommendations that the Chemical Safety Board
10 is presenting to us today will be put in
11 place.

12 (Applause.)

13 MAYOR McLAUGHLIN: The political
14 will is here in this community, and I can tell
15 you that I stand side by side with this
16 community, and others on the City Council. I
17 know we have City Councilmember Jovanka
18 Beckles in the audience today, who stands
19 right with me in making sure that it's
20 understood that Chevron needs to be regulated.

21 (Applause.)

22 MAYOR McLAUGHLIN: You know, we

1 have often -- those of us who have stood up to
2 Chevron have often been called Chevron-
3 bashers, when in reality it is Chevron who has
4 been bashing our community.

5 (Applause.)

6 MAYOR McLAUGHLIN: And we are
7 standing up. And we are so grateful that this
8 independent board recognizes the injustices
9 that we have suffered, and is here helping us
10 today.

11 I take your recommendations so
12 much internally to heart, and I can tell you
13 that as mayor I will be bringing to the City
14 Council a resolution on May 21st to revise the
15 industrial safety ordinance as per the
16 recommendations of the Chemical Safety Board.

17 (Applause.)

18 MAYOR McLAUGHLIN: And I call on
19 the community --

20 (Applause.)

21 MAYOR McLAUGHLIN: The Chemical
22 Safety Board proposes that Richmond strengthen

1 its industrial safety ordinance to require
2 inherently safer technology and a hierarchy of
3 controls that would eliminate hazards instead
4 of minimizing them when feasible, and would
5 prohibit companies from relying totally on
6 managing hazards that can be eliminated by
7 design through inherently safer technology.

8 So we know what you're
9 recommending. I will be bringing it forward.
10 I know the community will be standing there,
11 speaking out at the City Council meeting,
12 because this community does hear the call when
13 a rational recommendation gets put forward, as
14 is being recommended by the Board today.

15 Lastly, I want to say that we are
16 transforming our city. We are transforming
17 our city by way of creating a healthy city, a
18 sustainable city, an equitable city. And
19 this, this incident has put such a negative,
20 if you will, shadow over us. You know, we
21 have so much shadow over us based on Chevron:
22 the shadow of their pollution, the shadow of

1 the risk they create for us. And I mean,
2 ultimately, it's the shadow over the image
3 that we're creating.

4 But we will persist, and we will
5 continue to showcase Richmond as a 21st
6 century city, a city that's standing up for
7 itself, in its own interest. So we will not
8 be satisfied until Chevron understands that
9 they have to stop polluting our air, stop
10 putting us at risk.

11 (Applause.)

12 MAYOR McLAUGHLIN: And lastly,
13 because they influence our elections with
14 their millions and millions of dollars, we
15 will not be satisfied until they stop
16 polluting our elections as well.

17 (Applause.)

18 MAYOR McLAUGHLIN: Thank you.

19 CHAIRPERSON MOURE-ERASO: Thank
20 you very much, Mayor McLaughlin. We
21 appreciate your words. The next elected
22 official is the representative of Senator

1 Skinner, who cannot be with us. The person
2 representing the message of Senator Skinner is
3 Mark Chekal-Bain. So Mr. Chekal-Bain, please.

4 MR. CHEKAL-BAIN: Thank you.
5 Thank you so much for inviting Assemblymember
6 Skinner to speak today. Unfortunately, she's
7 in Southern California on business, and asked
8 that I present for her this evening.

9 First of all, she wants to thank
10 the Chemical Safety Board's staff. They've
11 done an incredible job of the work and
12 informing us along the way when they can. And
13 as the U.S. Chemical Safety Board staff stated
14 at a press conference on Monday, and again
15 several times tonight, the Chevron refinery
16 fire was ultimately a preventable accident.

17 As Assemblymember Skinner found in
18 the draft report, it calls for the State of
19 California to have more technically competent
20 regulators, increased inspections, and much
21 better regulations to prevent future
22 incidents. But these are not an excuse for

1 Chevron failing to follow their own internal
2 technical documents, to learn from failures at
3 Richmond and the other sites, to listen to
4 their own employees, or to replace corroded
5 and leaking pipes during routine turnarounds,
6 all things that Congressman Miller addressed
7 earlier.

8 But as far back as 2007, the CSB
9 had identified the need across the country for
10 OSHA units to have more highly trained and
11 experienced regulatory inspectors, and for
12 more comprehensive inspections at oil
13 refineries. Yet, as of today, Cal OSHA does
14 not have any more inspection staff than
15 previously, nor any higher training
16 requirement. And because of the small number
17 of refinery inspectors, what happens is that
18 we in California are unable to put adequate
19 hours into accident prevention. Instead, the
20 vast majority of inspector time ends up
21 investigating, post incidents.

22 For example, Cal OSHA has spent

1 thousands of hours investigating the August
2 fire, but in the last six years Cal OSHA
3 inspected Chevron only three times, each time
4 for about 50 hours. In contrast, refinery
5 inspections following federal guidelines last
6 year, roughly 1,000 hours each.

7 In the report, the CSB concludes
8 that issuing fines and prosecuting companies
9 post-incident are not acceptable substitutes
10 for prevention. Therefore, after the CSB
11 report, this week Assemblymember Nancy Skinner
12 testified on behalf of additional staffing and
13 training levels for Cal OSHA before the
14 California State Assembly Budget Subcommittee
15 that decides on the Cal OSHA and California
16 Department of Industrial Relations budget.

17 At the request of Assemblymember
18 Skinner, the Budget Subcommittee on State
19 Administration is examining the process safety
20 management unit, which works to prevent or
21 minimize the consequences of catastrophic
22 releases of toxic, flammable, or explosive

1 chemicals.

2 As she stated at the hearing,
3 Assemblymember Skinner said the staffing
4 numbers are alarming. Cal OSHA, the state
5 agency responsible for workers' safety, has
6 only one chemical engineer to regulate all
7 chemical processing facilities, and only seven
8 inspectors total to cover 15 refineries, as
9 well as 1,665 other facilities.

10 Explosions like the one here in
11 Richmond, as well as Wednesday's explosion at
12 a fertilizer plant near Waco, Texas, have
13 taught us all that California needs to ensure
14 that OSHA has enhanced funding and staffing,
15 and the technical training to enact precise
16 safeguards so that our chemical and refinery
17 facilities are not a disaster waiting to
18 happen.

19 Assemblymember Skinner looks
20 forward to working with the Chemical Safety
21 Board, and the community of Richmond, to
22 ensure that we have effective California

1 regulations and funding for OSHA to prevent
2 future incidents from happening.

3 Thank you.

4 (Applause.)

5 CHAIRPERSON MOURE-ERASO: The next
6 item on the agenda is that the Board is going
7 to have some questions to the investigative
8 team. So I'll take the privilege of the Chair
9 to ask the first question.

10 I would like to ask the team if
11 they consider that the changes in the
12 recommendations to the California Legislature
13 in this investigation could be considered for
14 adoption by the California Task Force on
15 Refineries in this state, and also if those
16 recommendations are also applicable to be a
17 standard nationwide.

18 INVESTIGATOR TILLEMA: To address
19 the first part of your question, whether this
20 could be adopted by the governor's task force
21 to write the report, we focus on three key
22 areas that are covered on the front cover of

1 the report: inherently safer design, damage
2 mechanism hazard reviews, and ensuring
3 effective safeguards, in this report. We also
4 touch on some of the regulatory issues.

5 So I think this would be a good
6 first step for the California Governor's Task
7 Force to utilize, but I want to reiterate
8 things that we've said already tonight. This
9 is our interim report, and we still have a lot
10 of work to do to complete our final report.

11 One of the key areas we want to
12 focus on that we haven't done much work on yet
13 is the safety case, which is a regulatory
14 regime that's been utilized in other countries
15 effectively, and we want to look at whether or
16 not that's an opportunity for California to
17 adopt that type of regime as a more effective
18 way, or a more effective approach, to prevent
19 major accidents. So that's a key area that we
20 want to focus on that I think the Governor's
21 Task Force would be interested in that's not
22 covered in this report.

1 And the second part of the
2 question was about the U.S.?

3 CHAIRPERSON MOURE-ERASO: Yes.

4 INVESTIGATOR TILLEMA: I guess one
5 thing that I'd like to make clear to everyone
6 is, these things that we've identified, these
7 damage mechanism hazard reviews, the use of
8 inherently safer design, ensuring that
9 safeguards are effective, these are not things
10 we went back to Denver and developed. These
11 are all things that were developed by the
12 petrochemical industry as ways to prevent
13 major accidents, and they're just not being
14 effectively utilized in the industry.

15 So I think absolutely that these
16 are things that could be -- that these
17 recommendations could apply to the U.S. I
18 think we have some challenges we want to look
19 at as to how to best approach bringing those
20 type of recommendations to the entire nation,
21 but I think they would be applicable, yes.

22 CHAIRPERSON MOURE-ERASO: Thank

1 you very much. I wonder if some of the Board
2 members have some questions. Let's start with
3 Beth Rosenberg.

4 MEMBER ROSENBERG: Nothing.

5 CHAIRPERSON MOURE-ERASO: Mark
6 Griffon?

7 MEMBER GRIFFON: I have just a few
8 questions, especially because we have a panel
9 still waiting to give us some great insights.
10 So I -- one question, just a couple on the
11 technical side of the report, though. The
12 first thing that struck me in the write-up was
13 that we concluded that 19 people were caught
14 in the vapor cloud.

15 And I'm just wondering, this is in
16 the midst of a leaking pipe that they're
17 trying to patch or repair, and I'm wondering,
18 did we look at why there were so many people
19 near that situation and caught in that vapor
20 cloud? It seems to me that's a lot of people
21 to be out in that area of the site when
22 there's a leaking pipe and there's a repair

1 going on. I just wondered if you looked at
2 that.

3 INVESTIGATOR TILLEMA: I'd say we
4 done some preliminary looks at that, and we
5 share the same concerns you do. It's
6 definitely an area we want to focus on in the
7 second half of the report. The rest of the
8 team has gone down to Texas A&M where there's
9 a world-renowned fire training school, where
10 they focus on emergency response. We've done
11 some initial work with them, but we need to
12 continue that effort. That's an area that we
13 definitely want to focus on in the second half
14 of our investigation.

15 I don't know if anyone wants to
16 add to that.

17 MEMBER GRIFFON: Thanks. Just two
18 more quick ones, I think. This question about
19 -- there's a couple references in our report
20 to the pipe thickness. And obviously I'm much
21 more interested in the higher-level
22 decisionmaking issues. Having said that, we

1 mentioned this pipe, the nominal thickness of
2 .32 inches. And I'm just curious, what was
3 the allowable thickness, and how is that
4 derived? Or how did Chevron derive that, and
5 was it adequate in your opinion?

6 INVESTIGATOR TILLEMA: That's
7 actually a much more complicated question than
8 you might at first --

9 MEMBER GRIFFON: Well, if you can
10 give me the 30 second answer?

11 INVESTIGATOR TILLEMA: I think I'm
12 going to defer. Steve and Roger have done a
13 lot of work in this area, and are probably the
14 best people to answer that.

15 INVESTIGATOR EVANS: One way to
16 try to describe it, there's a term that they
17 use at Chevron called flag thickness, and what
18 they mean by that is, that's kind of when you
19 raise the red flag. When the pipe thickness
20 gets to that point, that's when you actually
21 have to start making decisions about what
22 you're going to do.

1 When they get to flag thickness,
2 they have three options according to their
3 internal procedures. The first is, they can
4 shut down and replace the pipe.

5 The second is, they can do some
6 calculations -- the flag thickness is a book
7 number. They can do some calculations to try
8 to determine, based on the pressure in the
9 pipe or based on the mechanical strength
10 necessary to keep it up in the air, they can
11 calculate an actual minimum thickness based on
12 those structural needs. And if they haven't
13 reached that yet, then they can continue to
14 operate as long as they are looking at it
15 regularly. They have to do a management of
16 change, that is a temporary management of
17 change with a date certain, usually the next
18 turnaround.

19 And then the third thing that they
20 can do is, that they can do a management of
21 change to install some type of a leak control
22 device, like the clamps that you've heard

1 referred to this evening. And those three
2 options, when they hit flag thickness, they
3 have to do one of those three things.

4 INVESTIGATOR TILLEMA: Thank you,
5 Roger.

6 I'd just like to add that the main
7 thing about this particular case, and this
8 piping that failed, we didn't have a flag
9 thickness on it because it wasn't inspected.
10 That's a key point.

11 INVESTIGATOR EVANS: Yeah, the key
12 there is that you have to, in a situation like
13 sulfidation corrosion that affects the entire
14 length of the pipe, you have to make sure
15 you're looking at the places that are the
16 thinnest part of the pipe. And this pipe, had
17 they looked at it, had they known it was this
18 thin during the turnaround, they would have
19 replaced it. But they didn't know. I mean,
20 what you don't know is the devils in the
21 details sometimes.

22 And so the flag thickness was

1 quite a bit thicker than what this pipe
2 actually was. It was way beyond flag
3 thickness. We've mentioned, about half the
4 thickness of a dime. That's also a little
5 less than the thickness of a credit card, or
6 about the thickness of two business cards, to
7 give you just another couple of visuals.

8 MEMBER GRIFFON: I'd like to have
9 that --

10 INVESTIGATOR EVANS: One more
11 thing. Mr. Sam McFadden over here from
12 Anamet, that's his poster over there, and he
13 has that sample that shows the thinning, the
14 thin sample, and he also has two rings. The
15 rings he has are eight inch diameter pipe.
16 One of the rings is a .322 wall, which is the
17 thickness the piping is when you buy it. The
18 other sample he has is a ring that is
19 indicative of what was at Chevron. And you
20 can just feel the weight and see the drastic
21 difference. Sam would be glad to show you
22 that.

1 INVESTIGATOR TILLEMA: Maybe just
2 to summarize --

3 CHAIRPERSON MOURE-ERASO: Where
4 are the rings right now, Roger? If somebody
5 would like to examine the rings, they should
6 talk with Doctor McFadden there.

7 INVESTIGATOR TILLEMA: And just to
8 summarize that question, we just touched on
9 the complications involved with this issue.
10 But the whole complication with this issue
11 highlights again the importance of using
12 inherently safer materials so that you don't
13 have as many details encumbered in your system
14 as you do with carbon steel in this surface.

15 MEMBER GRIFFON: And one final
16 question. We recently received a copy of
17 Chevron's investigation report on, I think,
18 April 12th. And I was curious if you could
19 highlight just a few of the main differences
20 between sort of our causal analysis versus the
21 root causes they identified.

22 INVESTIGATOR TILLEMA: Okay. I'll

1 confess, I've only read the report one time,
2 and I think it was last Sunday. We've been
3 quite busy preparing for this meeting. We
4 talked about it briefly this week, and I think
5 in general we were encouraged that Chevron
6 also identified the need to properly identify
7 damage mechanisms. Their report doesn't call
8 it a damage mechanism hazard review, but they
9 were getting at the same concepts, and we were
10 encouraged by that.

11 On the other hand, we were quite
12 disappointed that a lot of Chevron's focus was
13 on low-level administrative issues. They
14 focused on inspector training and competency.
15 They talk about in 2002 that an inspector
16 identified this corrosion, and one of the
17 problems was that he only placed a comment in
18 the inspection file. In 2009, when the ETC,
19 the technical report, came out and identified
20 the need for 100 percent inspection, it wasn't
21 entered into their management system. In the
22 2011 turnaround, they didn't perform 100

1 percent component inspection because it had
2 not been placed in the inspection plan for the
3 turnaround.

4 All of these are very low
5 administrative failures. However, I would
6 point you to paragraph 49, which we added to
7 the report this week, and it wasn't available
8 on the version that went out on the internet.
9 During our team meetings this week, we added
10 this section that talks about in March of
11 2012, a Chevron corporate review was done of
12 the Richmond refinery, and they found that
13 critical inspection recommendations were being
14 submitted by employees but were being denied.

15 So Chevron corporate identified
16 this problem back in March, five months before
17 the incident, and that same review focused on
18 Richmond refinery leadership as needing to
19 implement these 2009 recommendations. And so
20 the corporation focused at a higher level than
21 what Chevron's investigation report does.

22 MEMBER GRIFFON: Thank you.

1 CHAIRPERSON MOURE-ERASO: Thank
2 you very much. Thank you very much for the
3 panel, and I think we move to the next item on
4 the agenda. We are very lucky, and we are
5 very thankful of having with us a very
6 important and wise panel that could address a
7 lot of the issues that were raised by this
8 accident. I would like to name the panel
9 first on a list, and then I will call them in
10 the order of the agenda.

11 With us is Ellen Widess, who is
12 the Chief of California OSHA. She's here on
13 the table. Also we have Professor Paul
14 Amyotte, from the Department of Chemical
15 Engineering of Dalhousie University, from
16 Canada. We have Randy Sawyer, the Chief
17 Environmental Health and Hazardous Materials
18 Officer of Contra Costa County. We have
19 Tupper Hull, the Vice President for Strategic
20 Communications from the Western States
21 Petroleum Association. We have Mike Smith
22 from the United Steel Workers Local 5, safety

1 representative. We have Ron Espinoza, from
2 the United Steel Workers International Union.
3 He is the subdirector of District 1. We have
4 also Greg Karras, from Communities for a
5 Better Environment, who is a senior scientist.
6 WE have Mike Wilson, who is the director of
7 the Labor Occupational Health Program for the
8 University of California at Berkeley.

9 So I will call first on Ellen
10 Widess, the Chief of California OSHA. Ms.
11 Widess?

12 MS. WIDESS: Thank you, Mr.
13 Chairman, Board and Staff of the Chemical
14 Safety Board for your thorough investigation
15 and productive collaboration with Cal OSHA.
16 And I also want to give thanks to our State,
17 Local and national legislators for their
18 leadership and commitment to improving
19 refinery safety for workers and communities.

20 There are many, many lessons from
21 the August 6th fire, and chiefly the
22 importance of adequate preventive measures to

1 ensure no future incidents. That requires
2 both a strong and informed regulatory system
3 to monitor refinery compliance, and a true and
4 genuine proactive commitment to an investment
5 in safety by the refineries.

6 I will briefly summarize Cal
7 OSHA's investigative findings, and I want to
8 kind of indicate that, while we were grateful
9 -- we are grateful -- that there were no
10 serious worker injuries and fatalities from
11 this preventable fire and explosion, our
12 investigation over the past six months
13 indicated many systemic, pervasive problems in
14 corporate management, in failure to follow not
15 only California's and national process safety
16 standards, but Chevron's own policies and
17 procedures.

18 As a result of our investigation,
19 we found and issued 25 citations, 23 of which
20 were serious or willful serious violations,
21 which indicates the degree of severity of the
22 hazards, the serious possibility, reasonable

1 possibility of death or injury of these
2 hazards, and the degree of knowledge and
3 intentional conduct on the part of Chevron in
4 ignoring those hazards and known safety
5 standards.

6 I might add that our citations
7 issued January 30th in many ways mirror
8 Chemical Safety Board's findings issued this
9 week. We issued nearly 1,000,000 dollars in
10 penalties, the highest in Cal OSHA's history,
11 and the maximum allowed under current law.
12 Chevron has appealed all citations and
13 penalties, and the appeal has not yet been set
14 for hearing by the Independent OSHA Appeals
15 Board of California.

16 What is striking to us was that
17 there were many, many serious violations prior
18 to, during and after the fire. This was
19 demonstrated in the video that Dan provided,
20 which helped me understand in ways I now get
21 much more clearly the many, many problems.
22 And as I mentioned, failure to comply not only

1 with the PSM standards but Chevron's own
2 policies put workers at risk at every point in
3 the process.

4 Just to summarize very, very
5 quickly, no effective process hazard analysis
6 of the crude unit, no corrosion monitoring, no
7 replacement of severely corroded pipe known,
8 as we've heard repeatedly now, for 10 years,
9 identified, ignoring the strong and repeated
10 recommendations of pipe inspectors and
11 Chevron's own metallurgists. Failure to take
12 advantage of at least three opportunities to
13 replace this severely corroded pipe and
14 prevent the accident that did occur during
15 turnarounds at least three times, in 2002,
16 2007, and 2011.

17 We, too, were concerned that so
18 many workers were at grave risk in the zone of
19 danger, Chevron's own workers and contractor
20 workers brought in. We were concerned and
21 cited for the failure to shut down despite the
22 obvious leak, putting workers at risk while

1 attempting to clamp the obviously dangerous
2 situation, not following Chevron's own
3 emergency procedures.

4 And then, in the course of this
5 investigation and through information provided
6 also by the workers and union at Chevron, the
7 identification of really failed leak repair
8 procedures throughout the refinery. The use
9 of clamps throughout the refinery well beyond
10 allowable time limits, rather than
11 implementation of permanent and safe
12 correction of problems.

13 And most disturbing -- I think I
14 repeat what has been suggested before -- from
15 Cal OSHA's perspective, most disturbing was
16 the fact that Chevron knew for over a decade
17 of the hazardous conditions of severely
18 corroded and worn pipes and leaks, knowledge
19 that they uniquely had, knowledge not
20 available to Cal OSHA or other regulatory
21 agencies, of the highly corrosive high-sulfur
22 crude state of pipes in existence for 38

1 years.

2 Chevron had that unique knowledge
3 of hazards, the ability and ample opportunity
4 to act to prevent the fire that occurred, the
5 risk posed to workers and communities, and
6 frankly other accidents that could have caused
7 catastrophic consequences. We can only wonder
8 what other hazards have been known and not
9 reported to us.

10 Frankly, running to failure rather
11 than following best practices, industry
12 guidance, and Chevron's own policies and
13 internal recommendations to replace, to
14 inspect more frequently, were conclusions that
15 we drew from our investigations. The
16 consequence was putting Chevron's own workers
17 and their contractor employees, as well as the
18 community, at great risk of death or serious
19 injury, with the knowledge of the likely
20 consequences of this action and pervasive
21 violation of safety standards.

22 What may be lost in the aftermath

1 of the August 6th fire, and what I want to
2 emphasize, is the fundamental responsibility
3 of Chevron and other refineries to ensure the
4 safety of their workers and all other workers
5 on site at all times.

6 Cal OSHA's mandate -- no matter
7 what resource level we have, our mandate is to
8 monitor the compliance of refineries to ensure
9 that they are maintaining safe and healthy
10 workplaces. Our recommendations from this and
11 lessons learned are fourfold.

12 First, again as has been
13 mentioned, the need for greater transparency.
14 At this point, we are operating without
15 sufficient information from Chevron and other
16 refineries, information that is often
17 technical, trade secret, proprietary, but
18 information that is desperately needed for
19 effective monitoring and enforcement.

20 Given the size and complexity of
21 refineries, the changing technologies,
22 processes and materials, there is an

1 overwhelming need for more timely information
2 and reporting by refineries at such times as
3 turnarounds so that we can better target and
4 prioritize inspections, rather than look and
5 divine hazards that are well known to Chevron
6 and to other refineries.

7 We need to be able to have that
8 kind of information to address most serious
9 and known hazards that refineries have
10 themselves identified, rather than guessing.
11 That is the most effective use of resources.
12 Even the most well-resourced agency alone
13 cannot act effectively without this type of
14 information in real time provided by
15 refineries.

16 Second, prevention should be the
17 driving force, not reaction to accidents.
18 Continuous improvement is the best practice,
19 and that includes improvement in process
20 management, in refinery maintenance, in
21 standards and in regulatory strategies.

22 As the CSB's report has

1 underscored, the industry has the knowledge
2 and the power to eliminate hazards in so many
3 ways, by using inherently safer designs and
4 materials, instead of relying on government
5 inspections alone, when possible and when
6 adequately informed, to detect problems known
7 to the refineries.

8 Again, the refineries are in a
9 unique position to have that information. The
10 need for more investment by refineries in
11 infrastructure -- as pointed out, this is an
12 aging industrial system. Pipes, the pervasive
13 use of clamps demonstrates this lack of
14 commitment at Chevron, and maybe as well
15 throughout our refineries in California. That
16 will be the subject of our process quality
17 verification inspections this year. That's
18 looking at only one of myriad issues we could
19 be looking at in the refineries.

20 I want to just remind the
21 community and the CSB, we spent a lot of time
22 as State and Local and national regulators

1 considering the appropriate pipe material to
2 rebuild the crude unit after the fire. And
3 though there was a lot of attention to the
4 pipe material, frankly, the quality and the
5 frequency of maintenance was equally important
6 in this decision, and that requires a
7 commitment by Chevron.

8 They alone, again, have the
9 intelligence about the type of crude, the
10 silicon content, the temperature, the pressure
11 in those pipes, so the simple decision --
12 again, decisions which in some cases are being
13 foisted on local government without all of
14 this information to reach the best informed
15 decision, leaves us all, workers and the
16 community, at peril.

17 Thirdly, the culture of safety.
18 Frankly, I'd like to understand better what
19 that term means. And I look forward to the
20 CSB's final report to provide more to that
21 mysterious title, which can belie many things.
22 But I want to indicate -- and much has been

1 said about corporate decisionmaking, decisions
2 to ignore the clear and repeated
3 recommendations by scientists, where business
4 management ignored those decisions. I share
5 Congressman Miller's curiosity, frustration,
6 with that whole process, and we look forward
7 to those answers by Chevron and by the
8 Chemical Safety Board.

9 I think, though, that one element
10 of a culture of safety that Cal OSHA believes
11 is absolutely imperative is empowered workers.
12 Workers are in the best position to identify
13 the hazards --

14 (Applause.)

15 MS. WIDESS: -- and they need to
16 be part, an integral part, of policies and
17 procedures and decisionmaking at refineries.
18 I was equally concerned by the report we
19 received that indicated concern about
20 retaliation, fear of reporting hazards to
21 management at Chevron, as well as to Cal OSHA.

22 The freedom and the necessity of

1 workers to report unsafe conditions and
2 concerns, both to us and to management, the
3 ability of workers to freely know that they
4 can shut down hazardous operations facing
5 imminent hazards, we feel was at fault, the
6 lack of that freedom was at fault in this
7 accident, which could have killed not only
8 many workers but many community members.

9 And then finally, I just want to
10 close with a comment about an agreement with
11 the CSB's recommendation for the need for a
12 more coordinated and collaborative inter-
13 agency regulatory approach to both worker,
14 community, and environmental protection from
15 refinery hazards.

16 I am proud to be part of this
17 administration, and want to note that the
18 Governor's Interagency Task Force was launched
19 well before CSB's recommendations and report.
20 We began very early in the process and
21 realized it was not only Cal OSHA's regulatory
22 insights and investigation, but the work of

1 our sister agencies at a local, state and
2 national level that are the only way to ensure
3 future protection.

4 We are hard at work, both looking
5 at better coordinated and effective and
6 responsive emergency preparedness, as well as
7 prevention measures. This report will give us
8 new risks to consider. The Governor's Task
9 Force is certainly looking at ways we can
10 share data about hazards, about enforcement
11 histories, consider joint or coordinated
12 enforcement actions, and certainly to improve
13 the transparency and clarity of the different
14 agencies' responsibilities, their laws, their
15 jurisdictions, and empower much more effective
16 enforcement actions, again to ensure the
17 protection of refinery workers and
18 communities.

19 We have been gathering the
20 perspectives of all stakeholders: labor,
21 industry, community and others, and will be
22 issuing a report and recommendations in May.

1 And I want to again just loop back to the
2 transparency and the critical ingredient of
3 information from refineries of their hazards,
4 of their processes. A strong and well
5 informed regulatory system is certainly key,
6 and better systems for collaboration are in
7 the works. But they will demand, ultimately,
8 more transparency from the refineries of key
9 information essential for worker protection
10 and community protection.

11 Thank you.

12 (Applause.)

13 CHAIRPERSON MOURE-ERASO: Thank
14 you. Thank you very much, Ms. Widess.

15 The next person is Professor Paul
16 Amyotte from the Department of Chemical
17 Engineering of Dalhousie University. Doctor
18 Amyotte is one of the few experts in the world
19 on inherently safer systems. Doctor Amyotte?

20 DR. AMYOTTE: Thank you, Chairman,
21 Members of the Board, ladies and gentlemen.
22 I'd like to begin by offering my expression of

1 concern for the workers and the members of the
2 public who have been so adversely impacted by
3 the process incident that we're discussing
4 this evening. I also want to thank the
5 Chemical Safety Board for inviting me to be
6 here and to give this presentation.

7 A little bit of legal business
8 here for a moment. On the advice of the
9 California Board for Professional Engineers,
10 Land Surveyors and Geologists, I declare that
11 while I am registered as a licensed
12 professional engineer in the province of Nova
13 Scotia, Canada, I do not hold a similar
14 license in the State of California.

15 There are two main areas in which
16 I have focused my presentation. First, I will
17 comment on the CSB's interim investigation
18 report from the perspective of inherently
19 safer design. And secondly, I will comment on
20 the need for the adoption of a lessons learned
21 mentality in the process industries.

22 Let me start by saying that I

1 wholeheartedly agree with the analysis and the
2 conclusions on the above points which are
3 contained in the interim report. I'm a strong
4 proponent of inherent safety and lessons
5 learned. As a process safety educator and
6 researcher, both have figured prominently in
7 my teaching and in my research efforts.

8 The discussion in the interim
9 report on inherently safer design is perhaps
10 the most direct and extensive use of the
11 language of inherent safety that I've ever
12 read in a CSB report. Inherently safer
13 design, ISD, or inherently safer processes,
14 ISP, or inherently safer technologies, IST, or
15 just plain inherent safety, is a proactive
16 approach in which hazards are eliminated or
17 lessened so as to reduce risk with a decreased
18 reliance on engineered or add-on devices and
19 procedural safety measures.

20 The concepts of inherently safer
21 design have been formalized in the process
22 industries over the past 35 or so years,

1 beginning, of course, with the pioneering work
2 of Trevor Kletz, largely in response to the
3 cyclohexane explosion at Flixborough in 1974.

4 Trevor Kletz, and many others
5 worldwide, including key individuals here in
6 the United States, have formulated a number of
7 principles or guidewords that have gained
8 widespread acceptance. These are familiar:
9 minimization, substitution, moderation and
10 simplification.

11 The CSB interim report thoroughly
12 covers the issue of substitution of alternate
13 metallurgy to help address the problem of
14 sulfidation corrosion. One also sees in the
15 report the need to moderate process
16 temperatures when these approach or exceed
17 design limits for existing pipe materials.

18 And rather than continue with a
19 lecture on the principles of inherent safety -
20 - because I should warn you, as a university
21 professor, you know I'm programmed to speak in
22 increments of 50 minutes.

1 (Laughter.)

2 DR. AMYOTTE: But I won't do that.
3 I'm simply going to state that numerous
4 resources on the topic of inherently safer
5 design are now available. There are books,
6 including those by Trevor Kletz, and also the
7 Center for Chemical Process Safety, or CCPS,
8 of the American Institute of Chemical
9 Engineers. There are journal articles,
10 conference presentations, trade publications,
11 and company guidance documents.

12 And Dan referred to this in his
13 response to Board Member Griffon. What's
14 noteworthy about all these resources is that
15 most of them have been written by industrial
16 practitioners, industry people, at all career
17 stages, from the newly arrived to those with
18 a full career already in hand.

19 So the call for widespread use of
20 inherently safer design principles in industry
21 is being made largely by people in industry,
22 people like Trevor Kletz, formerly of ICI in

1 the United Kingdom, and Dennis Hendershot,
2 formerly of Rohm and Haas in the United
3 States.

4 Of the 18 committee members
5 responsible for the production of the 2009
6 CCPS book *Inherently Safer Chemical Processes:
7 A Lifecycle Approach*, 16 are listed as having
8 affiliation with industrial companies. One is
9 affiliated with a municipal regulator, and I
10 believe I'm sitting next to him this evening,
11 and one is a federal regulator. So again, the
12 call for expanded ISD usage in industry is
13 coming from within.

14 Earlier in my remarks, I referred
15 to myself as a strong proponent of inherent
16 safety. That is true, but it does not mean
17 that I think inherent safety is a cure for all
18 ills, or that ISD principles can always be
19 fully implemented in all scenarios. There are
20 some very practical issues related to
21 inherently safer design that should be
22 recognized by anyone either proposing or

1 regulating its use, and these issues, I
2 believe, are well addressed in the Chevron
3 interim report, as I'll now demonstrate.

4 First, there is clear recognition
5 in the report that inherent safety works with
6 other means of reducing risk, namely passive
7 and active engineered safety and procedural
8 safety, within a framework commonly known as
9 the hierarchy of controls. Inherent safety,
10 being the most effective and robust approach
11 to risk reduction, sits at the top of the
12 hierarchy, and it's followed in order of
13 decreasing effectiveness by passive engineered
14 safety devices, such as explosion relief
15 vents, and then active engineered safety
16 devices, like automatic fire suppression
17 systems, and finally procedural safety
18 measures, such as inspections, corrosion-
19 related or otherwise.

20 This hierarchical arrangement,
21 however, does not invalidate the usefulness of
22 engineered and procedural safety measures.

1 Quite the opposite. The hierarchy of controls
2 recognizes the importance of engineered and
3 procedural safety by highlighting the need for
4 careful examination of the reliability of both
5 mechanical devices and human actions.

6 Second, inherent safety is
7 referred to as being hazard-specific, meaning
8 the risk of any new hazards that might be
9 introduced must be adequately managed. The
10 interim report makes ample reference to the
11 use of management of change, or MOC, for this
12 purpose.

13 Third, the report comments that
14 ISD principles should not be restricted to
15 only process hazard analysis, but should be
16 implemented wherever it is possible to make
17 improvements in the process safety management
18 system. Examples would include the just-
19 mentioned management of change, as well as
20 incident investigation, training and human
21 factors.

22 Fourth, the interim report

1 references the need to provide thorough
2 documentation of process hazard analysis
3 results and implementation of the findings.
4 Dennis Hendershot reminds us that this is
5 especially critical when dealing with ISD
6 features that could be put at risk because the
7 reasons they were implemented were not clearly
8 and adequately documented. Facility safety
9 could then be compromised when future
10 modifications are made by people who do not
11 understand the intent of the original
12 designer.

13 Fifth, the report makes clear
14 reference to inherent safety being most easily
15 and effectively introduced early in the
16 process lifecycle, for example at the design
17 build stage. Extended turnarounds, such as
18 would be required to replace process piping,
19 also afford excellent opportunities in this
20 regard.

21 And finally, the report introduces
22 the concepts of LOPA and ALARP in the section

1 on inherently safer systems. LOPA, or Layer
2 of Protection Analysis, can indeed be used to
3 determine the adequacy of safeguards or layers
4 of protection for a given scenario. And it's
5 interesting to note that the classic CCPS
6 depiction of LOPA has inherently safer process
7 design sitting at the central core of the
8 layers.

9 As explained in the interim
10 report, ALARP, or As Low As Reasonably
11 Practicable, involves the implementation of
12 risk reduction efforts until the incremental
13 effort to further reduce risk becomes grossly
14 disproportionate to the level of additional
15 risk reduction achieved. ALARP is, therefore,
16 a risk reduction goal that can be assessed by
17 tools such as LOPA and other tools such as the
18 combination of a fault tree and an event tree,
19 in what is now known as bow tie analysis.

20 So the general point here is that,
21 in addition to more qualitative tools, such as
22 ISD checklists, some form of barrier analysis

1 is highly beneficial, so long as the barriers
2 cover the full spectrum of the hierarchy of
3 controls.

4 So I spent considerable time in my
5 presentation on the matter of inherently safer
6 design, and as for the second topic, that of
7 the importance of learning from previous
8 incidents, I'm going to leave that discussion
9 to my written presentation, which I'll make
10 available, and that I request be entered into
11 the official record of this meeting.

12 To conclude, I'd like to quote
13 from a letter that will be published in an
14 upcoming issue of the Journal of Process
15 Safety Progress. It's not confidential; it's
16 just an early view on the PSP website. This
17 letter was written by John Murphy, an
18 industrial practitioner and a well known
19 figure in the loss prevention community. John
20 writes:

21 "So why should chemical
22 engineering professors take the

1 time to teach the basics of hazard
2 evaluation procedures and the
3 concept of inherent safety to
4 undergraduates? For those of us
5 who have spent our careers in
6 process safety, the answer is
7 obvious: to prevent future
8 catastrophic process safety
9 incidents that will result in
10 fatalities, injuries, property
11 damage, business interruption, and
12 loss of respect from the chemical
13 industry stakeholders."

14 Well, I can tell you that I agree
15 with John. In fact, he very nicely describes
16 why I do what I do as a chemical engineering
17 professor, and what people like me in this
18 profession do. I would suggest, though, that
19 if there is an obligation for people like me
20 to educate the next generation of engineers in
21 matters of inherently safer design, an equally
22 strong argument can be made for the obligation

1 on industry to implement inherently safer
2 design principles to the greatest extent
3 reasonably practicable.

4 Thank you, Mr. Chairman.

5 (Applause.)

6 CHAIRPERSON MOURE-ERASO: Thank
7 you very much, Professor.

8 Our next speaker is Mr. Randy
9 Sawyer from Contra Costa County. He's the
10 Chief Environmental Health and Hazardous
11 Materials Officer. Mr. Sawyer?

12 MR. SAWYER: Chairman Moure-Eraso
13 and Honorable Members of the Board, thank you
14 for inviting me to participate in today's
15 hearing.

16 The Chemical Safety Board
17 investigators have been very thorough and
18 professional in their investigations, and it's
19 been really good to work with them in their
20 process, and we appreciate the work they've
21 done.

22 I know our Board and the City of

1 Richmond was eager to see the recommendations
2 come forward, especially on how we could
3 improve the industrial safety ordinance. The
4 Contra Costa County Hazardous Materials
5 Program administers the Contra Costa County
6 and the City of Richmond's industrial safety
7 ordinance. The industrial safety ordinance
8 expands the requirements of the federal and
9 state OSHA process safety management and the
10 EPA and state accidental release prevention
11 programs.

12 The industrial safety ordinance
13 covers all of the processes at a facility, and
14 requires that facility to submit its safety
15 plan, address human factors issues beyond what
16 is required under process safety management
17 and the risk management program, determine the
18 root cause or root causes of an incident,
19 consider inherently safer systems, perform
20 management of organizational changes, perform
21 safety culture assessments, and perform
22 security vulnerability assessments.

1 There are four engineers and
2 engineering supervisors who work on the
3 County's accidental release prevention
4 programs. That includes the California
5 Accidental Release Prevention Program and the
6 Industrial Safety Ordinances. Engineers audit
7 and inspect each of the facilities covered
8 under these programs at least once every three
9 years.

10 The Contra Costa Hazardous
11 Materials Program has a hazardous materials
12 response team that is a primary hazardous
13 response team for the County. During the
14 evening of August 6th, the hazardous materials
15 response team responded to the refinery and to
16 the surrounding community. The team took six
17 air samples that evening, as well as direct
18 monitoring reads.

19 The team also activated the
20 hazardous materials operations center and
21 worked with the media and the Health Services
22 Department's public information officer on

1 getting the information about the incident out
2 to the public, kept track of what the
3 different teams were finding in the field and
4 at the refinery, communicated with the
5 County's health officer and worked with him on
6 determining if the shelter in place could be
7 lifted. The team also resounded sirens around
8 the refinery every 30 minutes until the
9 shelter in place was lifted.

10 One of the shortcomings of the
11 response on August 6th was the telephone
12 emergency notification system. The telephone
13 emergency notification system makes telephone
14 calls to the landlines in the area designated
15 and to the cell phones that have been
16 registered. Telephone calls that were
17 initiated took far longer than expected during
18 that evening.

19 The community warning system is
20 operated through the County's Office of the
21 Sheriff. Since the incident, the community
22 warning system staff have contracted with a

1 new telephone emergency notification system
2 provider and is developing a test for a second
3 telephone emergency notification provider.
4 When that test is completed, if the second
5 provider is successful, that provider will
6 become the primary provider and the provider
7 that is now under contract will become the
8 backup provider.

9 Other changes that have occurred
10 since the fire with the community warning
11 system include that individuals can now not
12 only register their cell phones, they can be
13 able to state if they would like to receive
14 text messages and/or emails when an event
15 occurs in the area they have asked to be
16 notified about.

17 FEMA has a system that can send
18 text messages to all cell phones within the
19 County. Before the incident, the message
20 would be one message that would be based on
21 the type of incident. So for a hazardous
22 materials incident, the message would be

1 shelter in place, with no indication of where
2 the incident is occurring and what to do to
3 shelter in place successfully, and every cell
4 phone in the County would receive this
5 message.

6 Since the incident, FEMA is now
7 allowing customized messages, and the
8 community warning staff is able to tailor the
9 message to include where we are asking people
10 to shelter in place, and to have a link to a
11 webpage to get directions on how to shelter in
12 place. Social media, including Twitter and
13 Facebook, is also being used to push out
14 information about the incident. Another
15 change is that text, email and social media
16 messages would direct people and the media on
17 where to get additional information on the
18 incident, including a map that shows the area
19 where people are being asked to shelter in
20 place.

21 Finally, since the incident, the
22 community warning system has become a web

1 based system that can be accessed from
2 anywhere by emergency response personnel.
3 Most of these changes were already started
4 before the incident.

5 One of the shortcomings from the
6 response that is in the process of being
7 addressed is a direct means to determine the
8 amount of particulates that are in the air to
9 assist in determining the impact of the smoke
10 from a fire. The Hazardous Materials Program
11 staff is working with the Bay Area Air Quality
12 Management District on a means to do this on
13 a real time basis.

14 As Supervisor Gioia mentioned
15 earlier, the County Hazardous Materials
16 Program is contracting with a third party
17 consultant to perform a safety inspection
18 audit of the Richmond refinery. The process
19 will include an oversight committee made up of
20 community members representing United Steel
21 Workers Local 5, the Building Trades Union,
22 Contra Costa Health Services, and the City of

1 Richmond.

2 The safety inspection audit will
3 look at the safety culture of the refinery,
4 the management systems that are in place to
5 implement process safety and the human factors
6 within the refinery. The Hazardous Materials
7 Program's staff is working with the facilities
8 that are covered by the industrial safety
9 ordinance within the City of Richmond and the
10 County, and the United Steel Workers, on
11 developing indicators or metrics on process
12 safety that will give an overall indication of
13 how healthy a process safety program a
14 facility has in place and make some of these
15 indicators public.

16 One of the issues that the
17 Chemical Safety Board investigators have found
18 to be a concern is the implementation of
19 inherently safer systems. I believe the
20 County's Board of Supervisors and the Richmond
21 City Council will adopt the recommendations
22 made by the Chemical Safety Board into their

1 ordinance. I believe that the recommendations
2 will improve the safety of the facilities
3 covered by the ordinance.

4 I do caution what the Chemical
5 Safety Board considers inherently safer. In
6 my experience, if a very clear definition of
7 inherent safety is not followed, then anything
8 that may improve safety will be considered
9 inherently safer, including improving
10 procedures or adding relief devices.

11 The Chemical Safety Board
12 investigation report on public safety at oil
13 and gas storage facilities states that passive
14 and active means to prevent accidents, such as
15 internal loading roofs, pressure vacuum relief
16 valves, flame arrestors and vapor recovery
17 systems are inherently safer tank designs.

18 These active and passive
19 mitigations do reduce the likelihood of an
20 accident -- and are pretty good risk reduction
21 measures -- from occurring, but does not
22 decrease the hazard, and these mitigations add

1 layers of protection but are not inherently
2 safer designs.

3 The Center for Chemical Process
4 Safety Inherently Safer Chemical Process
5 Lifecycle, Second Edition, Book defines
6 inherent safety as a concept and approach to
7 safety that focuses on eliminating or reducing
8 the hazards associated with a set of
9 conditions. A chemical manufacturing process
10 is inherently safer if it reduces or
11 eliminates the hazard associated with
12 materials and operations using a process, and
13 the reduction or elimination is permanent and
14 inseparable.

15 The process of identifying and
16 implementing inherent safety is a specific
17 concept called inherently safer design. A
18 process that will reduce hazard is described
19 as inherently safer compared to a process with
20 only passive, active or procedural controls.
21 By improving the materials and construction of
22 piping, or of equipment that is more resistant

1 to corrosion, is a passive and a good means,
2 and should be done, of reducing risk of
3 release, but does not reduce the overall
4 hazard, and as such that is not considered
5 inherently safer.

6 Contra Costa Hazardous Materials
7 do include passive means to reduce the overall
8 risk as a part of inherently safer systems
9 review, specifically where the passive means
10 reduces the possibility of release impacting
11 the public. This includes moving the
12 processing and storage of the chemicals
13 further away from the community. It also
14 could include the design of equipment and
15 piping such that the equipment and piping
16 could not be overpressured where a loss of
17 containment would occur.

18 But overall, I think the thought
19 process that goes behind implementing
20 inherently safer systems can be used for all
21 different management strategies, including
22 passive, active and procedural, and should be

1 used.

2 The County guidance states that
3 facilities should use an inherent safety way
4 of considering how to handle mitigations, or
5 use the different strategies of minimize,
6 substitute, moderate and simplify, and to move
7 up the risk management strategies from the
8 lower level of procedure all the way up to the
9 inherent safety risk management strategy.

10 I believe this process could also
11 be used in the MOC process and recommendations
12 from audit results, or from incident
13 investigations. I think it could be used for
14 any mitigations that come about through the
15 process, and especially for new facilities or
16 modified facilities it should be considered
17 that way, too.

18 It's really a different way of
19 thinking than just the way many engineers --
20 and I can speak because I've been an engineer,
21 a project engineer, and stuff -- were thinking
22 in the past. It's a different way of

1 thinking, and I think it's a pretty good way
2 of thinking, and it should be implemented.

3 Again, I thank you for allowing me
4 to testify today.

5 (Applause.)

6 CHAIRPERSON MOURE-ERASO: Thank
7 you very much, Randy. We appreciate your
8 work.

9 Our next speaker is Tupper Hull,
10 from the Western States Petroleum Association.
11 Mr. Hull?

12 MR. HULL: Mr. Chairman and
13 Members of the Board, we are very appreciative
14 of the invitation you extended for us to
15 address the Board tonight on an industrywide
16 perspective on safety. By way of background,
17 our association represents the major
18 integrated oil companies, as well as
19 independent producers and refiners in the
20 Western United States, certainly including
21 California as well.

22 Notwithstanding the reason we are

1 here tonight, I want to communicate that
2 safety is an extraordinarily high top priority
3 of refiners in California. Protecting the
4 safety of employees, communities and the
5 environment receive an extraordinary amount of
6 attention and resources within the refining
7 community, because everyone is harmed by
8 accidents. The goal of their operations is
9 zero accidents.

10 We're here tonight because that
11 goal was not met and has not been met, but it
12 still remains the overarching objective and
13 the focus of the companies that operate
14 refineries in California, and the men and
15 women who work in those facilities. We
16 understand, and the industry understands, that
17 when accidents occur it is vital to undertake
18 a thorough and impartial review of what went
19 wrong, and what can be done to ensure that it
20 won't happen again.

21 Our members currently are working
22 closely with the California Division of

1 Industrial Relations, the Governor's Refinery
2 Task Force, and other agencies to review
3 safety practices and responses in California.
4 That review and assessment is being conducted
5 in a very thorough and thoughtful manner, and
6 any gaps or deficiencies that are identified
7 by that process will carefully be considered,
8 and very likely incorporated into refinery
9 operations.

10 And certainly, refineries will
11 also carefully review and consider the
12 recommendations that you have made and will
13 make in your final report, and our association
14 will facilitate that consideration.

15 As was noted, last Friday, April
16 12th, Chevron released its report on the
17 incident. And I think it's worth noting that
18 much of what was contained in that report is
19 in agreement with the Chemical Safety Board's
20 report, and it outlined the very vigorous
21 steps Chevron undertook and continues to
22 undertake to implement changes within its

1 global refining system and other operations
2 worldwide.

3 This type of response is an
4 example of the priority refineries place on
5 safety, and of their commitment to identify
6 areas needing improvement and quickly
7 implementing changes to address those areas,
8 and sharing their conclusions with other
9 refiners, regulators and the public.

10 The one area that I did want to
11 just touch upon, which has not been addressed
12 here, and gets to an issue of transparency and
13 information sharing, is the area of risk
14 management plans, which all refineries, in
15 California and elsewhere, prepare, that look
16 exhaustively at the risks present in the
17 refineries and develop plans for response
18 which are then shared with the local
19 governments. That is an area where the
20 refiners feel a lot of attention is paid and
21 those plans have proved very effective.

22 And with that, I just would like

1 to thank you again for the opportunity to
2 speak to you this evening. Thank you.

3 CHAIRPERSON MOURE-ERASO: Thank
4 you very much, Mr. Hull.

5 The next person that is addressing
6 us is Mr. Mike Smith, the safety
7 representative of the United Steel Workers
8 Local 5. Mr. Smith?

9 MR. SMITH: Hello. Thank you for
10 the opportunity to speak as part of this
11 panel. USW Local 5 would like to thank the
12 CSB for coming out and doing the
13 investigation. While here, the investigation
14 team has been great, and the interim report is
15 a sign of how hard they have worked and how
16 deep they have dug into this incident. We
17 look forward to the final report, as well as
18 the recommendations to follow. We as workers
19 rely on that depth to find all root causes
20 which, identified and corrected, lead to a
21 safer workplace and community that surrounds
22 it.

1 We support the recommendations
2 presented this evening. We believe that there
3 are City, County and State laws that are in
4 place, that can be enforced as well as
5 strengthened to prevent these types of
6 incidents from happening. The current
7 environment, one which relies too heavily on
8 the industry or API making its own rules and
9 then failing to follow those rules, is not
10 working. Strengthening the oversight on the
11 refining sector is a must.

12 (Applause.)

13 MR. SMITH: This is not just a
14 Chevron Richmond issue. Local 5 also
15 represents workers at the Shell and Tesoro
16 refineries here in the Bay Area. We want to
17 stress that this is an industrywide problem.

18 (Applause.)

19 MR. SMITH: These management
20 system failures are present at all refineries
21 across California.

22 (Applause.)

1 MR. SMITH: We also support and
2 appreciate the local legislators, such as
3 Assemblymember Skinner, Congressman Miller,
4 Senators Hancock and DeSaulnier, in their
5 quest to improve refinery safety. We are
6 hoping that these recommendations are taken
7 seriously by all parties and that we can learn
8 from this incident. We look forward to
9 working with industry, legislators and the
10 community to get to a better place.

11 Thank you.

12 (Applause.)

13 CHAIRPERSON MOURE-ERASO: Thank
14 you very much, Mr. Smith.

15 Our next speaker is Mr. Ron
16 Espinoza. He's the subdirector of District 1
17 of the United Steel Workers International
18 Union. Mr. Espinoza?

19 MR. ESPINOZA: Thank you. I
20 appreciate the opportunity to speak.

21 I have worked in this industry for
22 over 25 years, and then I went to work for the

1 international union. Through those years, and
2 every year, you hear of deaths from employees:
3 explosions, injuries, that continue to happen
4 in an industry that prides themselves on
5 safety.

6 I want to talk for a second about
7 API 754, Leading and Lagging Indicators. We
8 do not think that it, as it is currently, is
9 adequate. It needs worker and regulator
10 participation, and community participation
11 with industry in identifying these indicators.

12 (Applause.)

13 MR. ESPINOZA: And what I would
14 like to say, and I'm listening to everyone on
15 this panel, and I certainly don't feel quite
16 as capable as they are, but I want to talk
17 about the fact that we call on Chevron to lead
18 in setting a premier standard for
19 environmental and safety excellence. And in
20 the refinery manufacturing that they do, for
21 too long that has not occurred, and we want
22 them to put an end to the lagging that has

1 happened in the past.

2 (Applause.)

3 CHAIRPERSON MOURE-ERASO: Thank
4 you, Mr. Espinoza.

5 Our next speaker is Greg Karras,
6 who is the senior scientist of the Communities
7 for a Better Environment. Mr. Karras?

8 (Applause.)

9 MR. KARRAS: Thank you, Mr. Chair.
10 I've submitted written testimony. I will
11 summarize it to be brief. And I have two
12 slides to show.

13 Thank you for including community
14 expertise on this panel. I have 30 years
15 practical experience in pollution prevention
16 engineering and industrial environmental
17 investigation, focused in the energy sector
18 and oil refining in particular. I've
19 published peer-reviewed work, and have the
20 honor to work with the disproportionately
21 impacted, deeply motivated and highly
22 organized communities of Richmond and West

1 Contra Costa County.

2 I believe the findings of your
3 draft interim report and strongly support,
4 more than support, each of your
5 recommendations. CBE believes each
6 recommendation is urgently needed, and
7 respectfully urges you to adopt all of them
8 tonight.

9 However, I hope you will consider
10 two additional actions. First, your interim
11 findings, we believe, support an urgent need
12 to require inherently safer systems based on
13 a hierarchy of controls at the Richmond
14 refinery. Additional evidence from Chevron's
15 post-incident repair permits -- and I'm
16 summarizing this chart -- further supports
17 this urgent need. Note, if you can see them,
18 points 1, 2 and 12 in this chart. There are
19 20 points of known publicly disclosed
20 corrosion damage in the crude unit as of last
21 year, before Chevron repaired it, and these
22 are from Chevron's data.

1 Point 1 indicates the four sidecut
2 pipe section that failed in this incident,
3 where your findings demonstrate that an
4 inherently hazardous combination of more
5 corrosive feed stock and less corrosion
6 resistant pipe metal that was involved in this
7 incident was, at best, extremely difficult to
8 manage.

9 Points 2 and 12 indicate sections
10 of atmospheric overhead piping where Chevron
11 reported finding internal corrosion pitting
12 severe enough to indicate -- now, this is
13 piping that was damaged in the fire, and cut
14 out and removed, and only then was it
15 inspected thoroughly and internally.
16 Apparently, only then could it be inspected
17 for this kind of internal pitting damage.

18 Each of these pipes, according to
19 Chevron's documents, the internal corrosion
20 was severe enough to indicate a potential
21 failure risk before the next scheduled
22 turnaround. Had the fire not occurred because

1 of one pipe in this area, this one small area
2 of the refinery, it might have occurred from
3 at least two others soon.

4 And this is an example in a small
5 part of a refinery with thousands of miles of
6 piping and thousands of pieces of equipment,
7 where there were a few places, at least three
8 before this incident occurred, that were a big
9 hazard apparently. And two of them may have
10 been not just extremely difficult, but
11 impossible to completely safely manage.

12 So the point here is that there is
13 an urgent need, at least at this refinery, and
14 we believe industrywide, for your inherent
15 safety recommendation. I'd like you to
16 consider, tonight, classifying it as urgent.

17 Second, in your ongoing
18 investigation and final report on this
19 incident, I hope you will consider completing
20 your analysis on material input substitution.
21 The second slide shows evidence for this. It
22 shows the increase from 1989 to the incident

1 last year in -- the black is the -- well, I'll
2 start with the red. That's sulfur content, or
3 the percentage increase in sulfur content, in
4 the crude oil. Black is in the gas oil
5 derived from the crude. And the gray
6 background that starts to disappear as you
7 move towards the right of the chart, that
8 depicts your own staff's findings on the data
9 of the corrosion of the pipe wall of the four
10 cut pipe section that failed.

11 As sulfur increased in the crude,
12 it increased in the gas oil distilled from
13 that crude and running through the pipe, and
14 sulfidic corrosion began to thin the wall of
15 the pipe more than four times faster than
16 before that dramatic sulfur increase around
17 1998, '99.

18 Thus Chevron's feed stock switch
19 played a key role in this incident. The
20 material input substitution, technical term
21 for this causal factor, is central to inherent
22 safety and is at or near the top of pollution

1 prevention safety hierarchies of controls.
2 And this evidence demonstrates specifically
3 for this incident what I think is a
4 universally applicable principle, that feed
5 stock quality must be considered if we hope to
6 drive catastrophic incident risk as low as
7 reasonable possible.

8 Now, in case you've heard from
9 what I've heard from the industry, at least
10 informally, that "Oh, no, we can't even talk
11 about changing our crude, because the only
12 choice is to close all the refineries and take
13 everyone's jobs and devastate the economy," I
14 want to say a couple words about that.

15 First, the idea that we can't even
16 investigate this because something terrible
17 will happen is like saying the world is flat.
18 "If we go check out whether that's true, we'll
19 fall off the edge, so don't even investigate
20 it," right?

21 In my opinion, if the industry
22 really believed that it would have no reason

1 for calling cheaper, lower quality refinery
2 feed stock, quote "opportunity crudes," close
3 quote. Instead, a more reasonable analysis
4 and a more holistic one would look at the
5 substantial evidence that preventing
6 catastrophic climate change may, in fact,
7 require leaving about half of currently
8 recoverable known reserves in the earth.

9 And that raises a question that we
10 in this community have been raising explicitly
11 and repeatedly: Why not refine the least
12 polluting and least hazardous part of what's
13 left?

14 (Applause.)

15 MR. KARRAS: So why is this
16 important? You know, flat world theories
17 didn't stop us before. We investigated.
18 Among other things, Columbus discovered the
19 New World. And when Bay Area refineries
20 claimed that it would be so unsafe that they
21 would just blow up if we controlled their
22 flaring, we investigated, workers and

1 communities together.

2 And we ended up with a finding
3 that by preventing unnecessary flaring, we
4 would make refineries safer. And now we have,
5 since 2005, the first comprehensive flare
6 prevention rule in the country, which is
7 spreading nationwide. Workers and communities
8 did it here together because we stood up to
9 and investigated, in that case, the concern
10 that the refinery would blow up instead of
11 shut down.

12 Now we're finding, here and also
13 in the L.A. area, communities and labor
14 leaders are finding that we should be -- and
15 we're beginning to -- work more closely
16 together than ever. We're stronger together,
17 and we believe that will be necessary to,
18 among other things, get the CSB's
19 recommendations implemented here.

20 But we can't duck. If we're going
21 to do that, and build trust among communities
22 and workers, we cannot duck the crude quality

1 issue. It's coming here to us. It has come
2 here to us, and it's not gone. Help us by
3 standing with us and saying "Let's check it
4 out. Let's talk about it. Let's have a
5 public discussion."

6 (Applause.)

7 MR. KARRAS: In my opinion, in its
8 ongoing investigation and final report
9 regarding this incident, the Chemical Safety
10 Board should consider completing its analysis
11 of inherently safer chemical inputs for
12 refineries.

13 (Applause.)

14 MR. KARRAS: Thank you.

15 CHAIRPERSON MOURE-ERASO: Thank
16 you very much, Mr. Karras. We appreciate it.

17 The next person that we have
18 addressing the meeting today is Doctor Mike
19 Wilson, who is the director of the Labor
20 Occupational Health Program of the University
21 of California in Berkeley. Dr. Wilson?

22 DR. WILSON: Doctor Chairman and

1 Members of the Board, thank you for the
2 opportunity to provide some brief remarks this
3 evening. And again, thank you for your
4 thorough and, I think, far-reaching report.

5 Our program, the Labor
6 Occupational Health Program, is part of the
7 Center for Occupational and Environmental
8 Health at U.C. Berkeley that was established
9 30 years ago by the Legislature to engage the
10 University in health and environmental
11 problems facing the State of California. This
12 is certainly one of them.

13 In studying your report, and in
14 hearing from labor, community, and emergency
15 services stakeholders on behalf of the
16 Governor's Refinery Task Force over the last
17 several months, I would like to convey one
18 overarching point in my comments this evening,
19 which we've heard actually many times. And
20 that is that we have before us, I think,
21 convincing evidence that California and the
22 nation are in imminent need of a modern,

1 fully-funded comprehensive regulatory
2 framework to oversee the refinery industry.

3 (Applause.)

4 DR. WILSON: You have presented
5 evidence here that that framework would be
6 most effective if it motivated investment by
7 the industry in doing three things in order.

8 First, characterizing and publicly
9 reporting on the nature of sulfidation
10 corrosion damage throughout the industry.

11 Second, rebuilding major sections of our
12 refineries using inherently safer, more
13 energy-efficient technologies that are readily
14 available. And three, integrating continuous
15 improvements in plant safety into the core
16 business operations of the refineries.

17 Your report, I think, has provided
18 the factual justification for California to
19 develop such a regulatory framework. You've
20 done this by demonstrating convincingly that,
21 first, we have a corrosion problem in this
22 industry that I believe is imminent, and that

1 that problem presents an imminent threat to
2 public safety because management, at least at
3 Chevron, has largely chosen to ignore that
4 problem despite 10 years of urgent and
5 repeated warnings from Chevron's own technical
6 personnel, from the United Steel Workers
7 Union, and I would add from the Communities
8 for a Better Environment. Meanwhile, major
9 sulfidation failure incidents have continued
10 to occur regularly at Chevron facilities in
11 California, Utah, Texas and Mississippi.

12 You've pointed out that we have a
13 physical engineering problem in the industry,
14 but of even greater concern is that you've
15 shined a light on a deeper cultural problem in
16 the industry's management, and on that I would
17 point out that since August 6th and up until
18 January 15th, where we have the data, the
19 State's refineries have experienced another 41
20 less publicized upset events that include
21 fires, spills, accidental releases and others,
22 some of which endangered workers and members

1 of the public.

2 I would suggest to you that
3 Chevron's management, and most likely that of
4 the other refineries in the State, based on
5 the evidence, is responding as a rational
6 economic actor to the legal framework in which
7 it operates. That framework, as we've heard
8 this evening, and as you've characterized in
9 your report, at present is overly permissive.
10 It requires very little, if any, genuine
11 transparency or accountability to the public.
12 It doesn't engage the expertise of workers or
13 the community, nor does it motivate the kinds
14 of investments that are needed to apply
15 inherently safer technologies.

16 In a more rigorous regulatory
17 framework, I would expect that Chevron's
18 management would begin to respond in a timely
19 and competent way to the safety problems that
20 are identified by their own personnel, by the
21 steel workers, and by the community. Your
22 report touched on the importance of

1 transparency, on accountability and meaningful
2 worker and community engagement as key
3 elements of a comprehensive regulatory
4 framework, and I would say that those elements
5 need to develop in concert with each other.

6 We know that transparency alone is
7 not enough, and that safety performance needs
8 to be required, not simply encouraged, as you
9 have articulated. I would argue, however,
10 that transparency is a good place to start.
11 It raises the stakes for poor management. It
12 makes regulatory oversight more effective, as
13 we heard from Chief Widess of Cal OSHA, and it
14 sets the bar for industry. It puts pressure
15 on the laggards, and it allows the best
16 performing companies to make their successes
17 public.

18 I would point out that
19 transforming industrial sectors is not new to
20 California. As a single example, over the
21 last 40 years California's per capita
22 electricity use is now 50 percent compared to

1 that of the rest of the U.S. The California
2 Energy Commission reports that that flattened
3 trajectory over the last 40 years has
4 prevented the construction of 25 coal-fired
5 power plants in the midwest.

6 That is the result of California
7 regulations, of incentives, of manufacturing
8 specifications over many years, along with
9 other government actions. And I think we are
10 fully capable of embarking on a similar
11 trajectory, a much more rapid trajectory, in
12 the refinery industry. And as Chairman Moure-
13 Eraso noted in his opening remarks, build a
14 regulatory program that could serve as a
15 national model.

16 I'll close by saying that ensuring
17 industrial safety in dangerous industries is
18 a basic and necessary function of government,
19 and doing so requires government to assert the
20 full force of its regulatory authority.

21 (Applause.)

22 DR. WILSON: We have seen in

1 multiple settings that doing so in nearly all
2 cases also improves the efficiency and
3 competitiveness of the effective industry. So
4 again, I want to thank you for your work, and
5 for your presentations tonight, and for your
6 professionalism.

7 (Applause.)

8 CHAIRPERSON MOURE-ERASO: Thank
9 you very much, Doctor Wilson. In the
10 interests of time, I think we would like to
11 move directly to public comments. I would
12 like to ask that this be moderated by the CSB
13 Managing Director, Doctor Horowitz, who has
14 been coordinating and managing the CSB
15 investigations, specifically this
16 investigation of Chevron. So I'm going to ask
17 him to basically moderate the public comment.
18 So, Doctor Horowitz.

19 DR. HOROWITZ: Thank you, Mr.
20 Chairman. We ask our commenters to adhere to
21 a limit of one minute each, please, in the
22 interests of time.

1 PARTICIPANT: What the hell, man?
2 We've got to sit here all night?

3 DR. HOROWITZ: All right. Well,
4 we'll do the best we can. We'll see if we
5 have everybody. Who's here? And the first
6 commenter is Doctor Henry Clark. Doctor
7 Clark, are you here?

8 (Applause.)

9 DR. CLARK: Thank you. Doctor
10 Henry Clark, Executive Director of the West
11 County Toxics Coalition that works with
12 communities living with refineries from
13 Richmond to Texas, Louisiana, Nigeria, Africa,
14 internationally. So we know these issues and
15 problems.

16 I live in North Richmond, next to
17 the Chevron refinery, on the front line of the
18 chemical assault as we say, some of the
19 problems, experiences, that people experienced
20 with this August the 6th fire, and you heard
21 our Supervisor John Gioia mention.

22 Well, I was born and raised next

1 to the refinery. I can remember clearly the
2 flaring situation that Greg Karras referred
3 to. Those energy waves from the flares would
4 hit my house and my community and rock our
5 houses like we were caught in an earthquake.
6 Going back to 1991, we were engulfed in black
7 toxic smoke for an entire week over the North
8 Richmond community, which is primarily Afro-
9 Americans and Latinos.

10 Now, if you don't understand what
11 environmental justice is all about, then
12 you're really not going to come to totally the
13 right conclusions. Environmental justice, or
14 environmental justice, environmental racism --
15 President Clinton signed an Executive Order,
16 12898, on environmental justice, which most of
17 the laws, city and state laws, about these
18 issues are based on, basically saying that
19 nobody, no people, regardless of race, class
20 or whatever, should bear a disproportionate
21 impact from environmental policies and so
22 forth.

1 Well, the fact is, is that it's a
2 little too late, because we are already
3 disproportionately impacted. We are already
4 overburdened.

5 (Applause.)

6 DR. CLARK: And so to protect us
7 now, you have to take some serious actions.
8 And all of these measures that you're talking
9 about, inherently safer processes, and this
10 and that? Well, I can remember, and Greg
11 Karras from CBE can remember this. Over about
12 30 years ago, we made some recommendations,
13 similar recommendations to the refinery and
14 the industry, pretty much saying the same
15 things that you're saying today, here. Okay?

16 (Applause.)

17 DR. CLARK: Saying pretty much the
18 same thing. But you know, they weren't
19 listened to. And so the bottom line is this,
20 here. It's that you can have all of these
21 recommendations, which is all good, you know.
22 But it sounded like anything, any laws, or

1 scripture, or whatever, that says some great
2 things, but they mean nothing if you don't put
3 them into practice.

4 (Applause.)

5 DR. CLARK: And that's the main
6 thing right, that industry has not put these
7 measures into practice. Why? Because of the
8 fact that -- it was said -- there's no
9 punishment behind it. A few dollars for a
10 fine and penalty out of a company that's
11 making billions of dollars? Come on, now.

12 (Applause.)

13 DR. CLARK: You know, this issue
14 has been going on for a very long time. Yes,
15 the industry, Chevron and all the rest of
16 them, say that "Yeah, workers have the
17 authority to shut down a unit if they see it's
18 problematic." Sure, that may be in theory.
19 But that doesn't happen, because those workers
20 know that the company's main concern and
21 bottom line is making those profits. And just
22 like in this case here, that you see, that the

1 workers knew about it and could have closed it
2 down, but they didn't, because they know that
3 management was not going to like that.

4 So we need to get serious, period,
5 about holding these companies accountable.
6 And a few pennies is not going to get to the
7 issues right here.

8 (Applause.)

9 DR. CLARK: These companies like
10 Chevron and many others, they want to be
11 considered to have some personhood. Well, if
12 they want to be a person, then send them to
13 jail when they violate the law, just like
14 anybody else.

15 (Applause.)

16 DR. CLARK: Then you'll have some
17 real accountability. And like Mr. Karras
18 said, it's that you need to consider the type
19 of oil, or the product that's being processed
20 in that refinery. Because we sounded the
21 alarm a long time ago about that. We sounded
22 the alarm when Chevron was proposing their

1 reformulated fuel project. We told them about
2 the higher sulfur content. They denied it,
3 and said they weren't using it, didn't plan to
4 use it. But we come to find out, the cat is
5 out of the sack now, they were already using
6 it.

7 So we need to get serious. We're
8 talking about life and death issues here,
9 period. You need to put that in the mix. You
10 need to consider that in the context of
11 environmental justice, these companies like
12 Chevron, they are already violating the spirit
13 and the principles of Executive Order 12898.
14 You need to hold them accountable, because
15 they are killing people, period, and making
16 people sick.

17 (Applause.)

18 DR. CLARK: And we're not going to
19 take it no more, and we want our City and
20 County officials to have some backbone. You
21 can close down liquor stores in our community
22 when they're posing a threat or a nuisance.

1 Why can you have this authority with the small
2 businesses, but when it comes to these big
3 companies you can't do nothing about them?
4 You can't hold them accountable to the law?
5 It's because they have bigger dollars, huh?
6 Is it because they buy politicians like you
7 heard before?

8 The same thing that communities
9 are saying with the Keystone Pipeline, that
10 you're going to have problems with destroying
11 Native American land and polluting those
12 communities that we work with in the Houston
13 area and Louisiana.

14 Because the bottom line is, is
15 that what that's all about, just like here, is
16 corporate control over politicians, like the
17 Koch Brothers that you've heard about that own
18 refineries in the Houston area, and they're
19 paying 100 dollars a barrel now for oil from
20 Venezuela, and they could get the oil for 25
21 dollars a barrel from this dirty crude oil
22 coming from Alberta, Canada and other places.

1 So you know, the cat is out of the
2 bag. When you want to be serious, you include
3 those recommendations that Greg Karras
4 mentioned about the crude, and really protect
5 our communities. Otherwise, you know, it's
6 just another dog and pony show.

7 (Applause.)

8 CHAIRPERSON MOURE-ERASO: Thank
9 you very much.

10 DR. HOROWITZ: All right. Thank
11 you. Next is Mr. Kim Nibarger of the United
12 Steel Workers.

13 MR. NIBARGER: Good evening. My
14 name's Kim Nibarger, and I'm a health and
15 safety specialist for United Steel Workers,
16 and I will abbreviate my comments in light of
17 the time.

18 First, we don't view this as a
19 Chevron problem. It's an industry problem.
20 Second, the broken widget, the sulfidation
21 corrosion of the pipe, is a long-known problem
22 in the refining industry, as you pointed out

1 in your report. The problems allowing this
2 event to happen seem to be underlying in
3 nearly every refinery in the country.

4 We need to identify not just the
5 cause, but what allowed these events to
6 happen. If we recall the report that the
7 Chemical Safety Board did on the Texas City BP
8 refinery, we will find numerous of those
9 events also took place in this accident.

10 It appears from your report that a
11 number of people tried to alert Chevron to the
12 fact that this pipe needed to fall under
13 increased scrutiny or have the metallurgy
14 upgraded. Although a management of change
15 process was completed for the initial crudes
16 containing higher sulfur content, it does not
17 appear that a question of concern about
18 increased corrosion over time from the use of
19 a higher sulfur crude was raised or addressed.
20 More recommendations were made, from 100
21 percent component inspection to replacing the
22 line, all rejected by Chevron management.

1 This is the same as operators
2 raising the issue of shutting the unit down
3 when the leak was first discovered, and being
4 overruled by Chevron management. We often
5 hear of, and speak about, safety culture. But
6 as you can see from these examples, it does no
7 good to have the authority without the power.
8 A safety culture works when there is a
9 harmonious environment. It does not work
10 where one entity holds the power over the
11 other participants.

12 Currently, the process safety
13 management standard governing oil refineries
14 says that its purpose is to prevent or
15 minimize the consequences of catastrophic
16 releases of toxic, reactive, flammable or
17 explosive chemicals. Really, all it requires
18 you to do is develop a written plan on how you
19 will meet the element challenges in the
20 standard.

21 There is nothing requiring you to
22 do it well, or to really define what you

1 intend to accomplish, so meeting the
2 requirement of the standard, having a written
3 plan and following it, may serve no benefit
4 other than to avoid penalties. If you are
5 following your plan even though it is a poor
6 plan, you have done nothing wrong, or at least
7 citable, in the eyes of the regulators.

8 Unless the regulator is well
9 versed in process safety, they may not
10 recognize how poor the plan is or what RAGAGEP
11 for a particular operation or equipment may
12 be. Even if they do, it's not a violation of
13 the standard. It's not enforceable to require
14 an employer to develop and follow an effective
15 plan.

16 It would really make the standard
17 more productive if employers were required to
18 comply with a level based on described,
19 recognized and generally accepted good
20 engineering practices, RAGAGEP, to ensure that
21 operating risks were as low as reasonably
22 practicable, ALARP -- and we've heard a lot of

1 talk about that tonight -- and hazards are
2 identified and eliminated or mitigated. When
3 the practice improves, the plan improves to
4 meet the current practice.

5 But it must be mandatory. It must
6 be regulated. It cannot be undefined in any
7 way, or it will not get done. It also needs
8 to be transparent with employee involvement,
9 regulated, enforced participation, not the
10 consult language that's in the standard now.

11 The Norwegian Petroleum Safety
12 Authority, the PSA, has a safety case in
13 place, and they have had it in place since the
14 mid-1970s. This tripartite model of industry,
15 regulator, and union share authority in making
16 decisions that govern the safety of the
17 offshore oil industry. They also require that
18 risk must be managed to ALARP.

19 It's time for us to stop trying to
20 tweak a standard that is not working as it was
21 intended, or at least hoped. It's time for a
22 system overhaul, and that will require

1 regulator, labor and industry working
2 together. It will require involving the
3 communities around these facilities. It will
4 require a true commitment to make the industry
5 safer, not just different.

6 You have the ability to fund this
7 through the language in the California Labor
8 Code 7870. You just need to have the
9 Legislature approve the expenditures from the
10 fees that will be put into place, or can be
11 put into place, from this practice.

12 We encourage and welcome the
13 opportunity to work toward that change, and we
14 also look forward to the final version of the
15 report including the follow-up elements
16 highlighted at the end of this report.

17 Thank you.

18 (Applause.)

19 DR. HOROWITZ: Thank you, Mr.
20 Nibarger. Next is Andre Soto.

21 MR. SOTO: Good evening, Members
22 of the Board, as well as the staff, for coming

1 out here to our community in Richmond. It's
2 really been critical to our community that you
3 have been here, because much of what you've
4 heard tonight are that we in the community
5 have known or suspected much of this stuff for
6 many years.

7 But you have finally shined a
8 light on it with incontrovertible evidence
9 that Chevron is not a good actor in our
10 community. They're not taking care of this
11 refinery. They're running it into the ground.
12 They're putting workers at risk. They're
13 putting the community at risk. And at the
14 same time, they're corrupting our politics and
15 trying to buy off individuals in the community
16 and non-profits in our community by spreading
17 around cash. And we all know. All those of
18 us who live in the community know this.

19 But what I really wanted to thank
20 you about is some of the recommendations
21 you've already started to provide for us.
22 Because you're providing a light on the path

1 that we as a community need to take to hold
2 our elected officials accountable and
3 implement these kind of changes. Because the
4 failure to implement these changes means our
5 community is going to continue to be at risk.

6 As we speak here right now, we are
7 at risk because of all those clamps out there.
8 You've heard tonight all the citations of Cal
9 OSHA. Chevron is appealing all these, and
10 it's expected to take four years before they
11 make any of these changes recommended. So you
12 know, I want to thank you publicly, and I look
13 forward to your final report.

14 But more importantly, it's really
15 that this incident has brought you guys here.
16 It's brought the panelists, all the interests
17 and the panelists, including the workers and
18 the community, together, and that's how we're
19 going to really solve this problem. And I
20 think that one of the things that really give
21 me a lot of pride from being here in Richmond
22 is that, because of the pains that we have

1 suffered for 100 years by being next to this
2 refinery, we are on the front lines of trying
3 to change the way refineries operate, the way
4 refineries are regulated, and empower
5 communities and the people, and not just cave
6 in to corporate power.

7 You guys are helping us to get
8 there, so thank you very much.

9 (Applause.)

10 DR. HOROWITZ: Thank you. Cho
11 Culeo? No. Robin Lappe?

12 MS. LAPPE: Thank you. I
13 appreciate all of the information that the CSB
14 and Cal OSHA and the other members here have
15 given to the community. My concern is what is
16 going to happen to our health.

17 We now know in the community,
18 we're distributing a paper on dioxin, which is
19 one of the severe chemicals that was emitted
20 from this fire. I myself had cataracts that
21 did not need surgery for four years until I
22 came in contact with this cloud, with these

1 particulates of crude oil.

2 I've had two surgeries, and yes I
3 have better eyes, but how long they'll last
4 me, I don't know. I've had stomach problems.
5 I know many people in the area -- I know my
6 blood pressure went sky high, my 14 year old
7 grandson had high blood pressure after contact
8 with this cloud.

9 There's a lot the community does
10 not know about our physical well-being. We're
11 hearing so much about Chevron. We're hearing
12 about how they're going to be fined, and how
13 they're going to change, and this and that,
14 but we're not hearing about our health. We're
15 not hearing about where we can go to get all
16 the help that we need.

17 The doctors didn't really help us
18 in this thing. I do know that Kaiser is
19 backed by Chevron, and those doctors did not
20 really want to help us. Many of us that I've
21 talked to -- and I've talked to hundreds of
22 people in this community, and we did not get

1 the care that we really, really needed. This
2 is what the community needs to hear.

3 What can you do to help us now?

4 Yes, we can fix the pipeline. Yes, we can put
5 regulations and regulatory committees out
6 there. But what is going to happen to the
7 people of Richmond and the people that were
8 underneath this massive cloud that reached all
9 the way to Livermore? There's more people
10 affected in this thing than you can imagine.
11 There are still people coming forward now that
12 don't even realize what's going on in our
13 bodies.

14 (Applause.)

15 MS. LAPPE: They have these blood
16 pressure and cholesterol things. Some are
17 developing cancers already because they had
18 preexisting conditions. We've got to hear, in
19 the community, what can you do to help us?
20 What can you do now, CSB and Cal OSHA, to set
21 in place either clinics or someplace where we
22 can get the absolute help that we need?

1 Because I've been told by my own
2 doctor, when I finally got to see him, that
3 I'm going to die in less than 30 years,
4 probably, from cancer, but there's nothing in
5 this cloud that is going to affect me or hurt
6 me.

7 Kaiser told us, not from the
8 beginning of this thing but three weeks into
9 it, they distributed a paper into the
10 community: "These chemicals will only last for
11 24 hours in your body." Twenty-four hours.
12 They sent that paper out three weeks later.
13 What did that do to me? It put me at a big
14 risk. It put my faith in my own doctors at
15 risk.

16 My own doctor did not even want to
17 see me for almost two to three weeks. When I
18 went to the emergency room at Kaiser, they
19 told me "Your blood pressure is elevated."
20 They signed a paper and sent me out. I needed
21 a breathing treatment that I couldn't get. I
22 was told a week later by the allergy

1 department at Kaiser "Did they give you a
2 treatment, Robin?" And I said "No." She said
3 "Your breathing is down by two thirds." She
4 said "I'm amazed that you're still up and
5 walking."

6 I've had swollen vocal cords from
7 this. I was an avid singer. I can't sing
8 now. If I wanted to, I can't. Because I can
9 do maybe one song, and that's it. There goes
10 whatever I had. It's heartwrenching to me.
11 It's heartwrenching that my health has been so
12 affected, and the community has been so
13 affected by this.

14 I plead with the CSB and with Cal
15 OSHA, and anybody involved in this, do
16 something more for us, for the community, to
17 help us understand the dioxin chemical and the
18 things that we're going through ever since
19 we've come in contact with this.

20 Thank you so much.

21 (Applause.)

22 DR. HOROWITZ: Thank you. Dorothy

1 Wigmore?

2 MS. WIGMORE: So my name's Dorothy
3 Wigmore. I'm here representing an
4 organization called Worksafe, which is a non-
5 profit advocacy group that speaks on behalf of
6 and with and in coalition with workers and
7 community groups around occupational health
8 and safety issues.

9 And in the training that I've had
10 as what they call an occupational hygienist,
11 as well as an ergonomist, I've learned a
12 variety of things that take me back, perhaps,
13 to my interest in books. And that is, I pay
14 attention to history.

15 And I happen to have in my hand a
16 little booklet called Our Lives Are At Stake:
17 Workers Fight For Health And Safety from the
18 Shell strike of 1973. And I'd like to read
19 you two things that are in there, and we're
20 using them in our workers' Memorial Day report
21 this year, at least this one quote.

22 Remember, this is from 1973, and

1 it's about a different refinery, but it's a
2 refinery in this part of the world. And a
3 worker says:

4 "They run the plant until it
5 falls apart. They operate on the
6 theory of running the calculated
7 risk. By calculated risk, they
8 mean that they will run a unit
9 until it falls apart, then repair
10 it fast. This is cheaper to do
11 every six months or three months
12 than preventive maintenance. And
13 they also run the risk of
14 shortmanning units, not having
15 enough men" -- because usually
16 it's men -- "on a unit to operate
17 it properly, but just enough so
18 that they can correct an upset
19 condition without going off-
20 specification. They feel they can
21 run with fewer people."

22 And in the paragraph below that,

1 they refer to a January 1968 explosion at
2 another Shell Chemical plant in Texas, where
3 the investigation revealed that the pipe
4 carrying sulfuric acid and -- this should
5 probably be polypropylene. It doesn't have
6 the right word here -- under 450 pounds of
7 pressure per square inch had been allowed to
8 corrode to the point that its walls were as
9 thin as beer cans.

10 I want to make a number of points
11 here that are linked, and the first is this
12 was no accident, from everything I've heard.
13 And in fact, I would urge the Board to be very
14 careful about the language that it's using.
15 I hear the word "risk" used when we're really
16 talking about hazards. I hear the word
17 "control" used when we're really talking about
18 prevention.

19 And as an occupational hygienist -
20 - I may have a falling out with some of my
21 colleagues on this -- I don't use the term
22 hierarchy of controls. I talk about

1 prevention, because it gets to the hazard. If
2 you're controlling something, it means the
3 hazard is still there. And if we're really
4 going to deal with some of the issues that
5 have come up here, I think the Board has to
6 start making sure that it's using the word
7 "prevention" more than I saw it in the
8 document from the quick look that I've had at
9 it.

10 The second thing that I wanted to
11 say is that, in going back to the history
12 stuff, what's happening here is not unique to
13 Chevron. It's not unique to refineries. It's
14 something that, in my almost 35 years of
15 occupational health and safety work, is
16 something that I hear all the time: preventive
17 maintenance isn't done. You keep the line
18 working despite whatever the hazards are, and
19 you ignore the warnings and the advice of the
20 people who know most, the workers on the job.
21 It also combines with what I have
22 unfortunately come to see as a real arrogance

1 of managers and industry. And I think that's
2 part of what we've heard about in the report
3 here.

4 I would suggest that the Board, in
5 the report that it puts together, particularly
6 for the final report, that it looks at some of
7 the history of these kinds of things. It
8 looks at things like the EPA report about the
9 ExxonMobil Baton Rouge refinery which came out
10 earlier this year. Exactly the same issues,
11 inspections not done, and issues of thickness
12 of the pipes. I think that that's important,
13 both to build your case that something has to
14 be done and to make it clear that this is at
15 least an industry kind of issue, and not just
16 something that has to do with one particular
17 player in the field.

18 Thirdly, I would like you to -- in
19 terms of paying more attention to prevention,
20 I'd recommend a paper that we wrote,
21 Prevention Pays, and I would recommend also
22 that you look at what is called the Injury and

1 Illness Prevention Program regulation here.
2 With my experience on the Canadian side of the
3 border, both in terms of writing regulations
4 and enforcing them, it's great that California
5 has an IIPP, but I recommend you look at some
6 of the regulations about prevention programs
7 in other jurisdictions. And I'd be happy to
8 point you to some of them. One of them I
9 helped to write, in Manitoba.

10 And one of the things that I think
11 is missing is a requirement for evaluation.
12 But you might want to look at the California
13 one itself, and see where -- and just, as I
14 say, compare it with some others.

15 I would refer you, if you're going
16 to do work around leading indicators and
17 lagging indicators, it's a term that I've run
18 across in meatpacking plants and discussions
19 of ergonomics, and all kinds of other places.
20 They get used, but they don't get paid
21 attention to. And I would recommend you look
22 at the work of the Institute for Work and

1 Health in Ontario that's done a lot of good
2 research around this.

3 I also recommend that, if you're
4 going to use the term "as low as reasonably
5 practicable," the original term is "so far as
6 is reasonably practicable." It comes from the
7 1949 case of Edwards v. The National Coal
8 Board in England. And I learned this in my
9 occupational hygiene training, and it has a
10 very specific legal meaning that I don't think
11 you really appreciate, and I'm going to try
12 and -- excuse me, can I ask you to -- as a
13 former Dalhousie graduate, could I get someone
14 to hold this for me? Because I can't talk and
15 do the demonstration at the same time.

16 It won't hurt. Thank you.

17 DR. AMYOTTE: Dalhousie?

18 MS. WIGMORE: I'm a Dalhousie
19 grad, 1972. Political Science.

20 So what "as low as reasonably
21 practicable" means is that there has to be a
22 gross disproportion between the hazard, and

1 the cost of the hazard, or the cost of the
2 problem, and the cost of fixing it. It cannot
3 be an even balancing that often is used. So
4 there has to be both a gross disproportion.
5 And the greater the hazard, the greater the
6 distance between the cost of fixing something
7 and the cost of leaving it as it is before it
8 is not reasonably practicable to do something.
9 It's an economic argument for fixing hazards.

10 So I would recommend that you look
11 at that. And as for safety culture, I would
12 recommend that you look at the work of Kaj
13 Frick, Michael Quinlan and Per Jensen, who
14 talk about occupational health and safety
15 management systems. I think that that is --
16 there is just as much disagreement about what
17 those are as there is about what a so-called
18 safety culture is, but I think that they're on
19 the right track in terms of looking at the
20 essential ingredients of these things.

21 And finally, I would suggest that
22 you look at the literature that says that

1 enforcement is actually what leads to change
2 in terms of occupational health and safety in
3 workplaces. And on that, I would refer you to
4 the work of Emile Tompa, for one.

5 If the laws aren't -- and the
6 other thing, I guess, is that the laws are
7 great, but if the agencies that are supposed
8 to be enforcing them either are not allowed to
9 or are unable to enforce the law, the workers
10 that rely on them and the communities that
11 effectively rely on them won't be getting much
12 satisfaction and won't be getting what they
13 deserve. Cal OSHA needs resources to do this,
14 not just for these hazards but for a lot of
15 others.

16 (Applause.)

17 MS. WIGMORE: And I have one other
18 note here. Oh, yes. In terms of worker
19 participation, I recommend that you look at
20 the model of committees, and where the joint
21 health and safety committees have to get
22 responses back from management about why

1 things are not being done within -- in
2 Manitoba, it's within 30 days. There have to
3 be reasons why, that kind of thing.

4 And there are other examples in
5 this country of links between joint health and
6 safety committees and community groups, and I
7 suggest you might want to look at New Jersey
8 as one place where that kind of thing has been
9 looked at.

10 My last question is -- these are
11 just off the top of my head based on what I've
12 heard, and I haven't really been able to read
13 the report.

14 DR. HOROWITZ: Thirty seconds,
15 ma'am, please.

16 MS. WIGMORE: I'm just asking, can
17 I submit written comments, and by when?

18 DR. HOROWITZ: Yes. Submit them -
19 -

20 MS. WIGMORE: By when?

21 DR. HOROWITZ: Any time you like.
22 You can send them right to me. I'll give you

1 my business card.

2 MS. WIGMORE: Okay. That's the
3 best I can do at the moment.

4 DR. HOROWITZ: Thank you.

5 (Applause.)

6 DR. HOROWITZ: There are about 30
7 folks who are signed up, so I ask you to keep
8 your comments as brief as possible. Next is
9 Diane Bailey. Diane Bailey, are you here?

10 Diane Bailey is not here. Julia
11 Max? Julia Max, are you here?

12 MS. MAY: May.

13 DR. HOROWITZ: Julia May, sorry.

14 MS. MAY: I'm Julia May. I'm one
15 of CBE's senior scientists, and I want to
16 thank you, because this investigation is the
17 most excellent one I've seen in the 25 years
18 of engineering analysis I've done in both
19 Northern and Southern California, or across
20 the country in other regions.

21 Thank you. Also thanks to the
22 steel workers and the refinery firefighters

1 who are fighting to keep us all safe without
2 the support of Chevron corporation and the
3 other refineries. They deserve a lot of
4 credit.

5 (Applause.)

6 MS. MAY: I've worked for a number
7 of years, through the '90s, in the Bay Area.
8 Right now I'm working for CBE on Southern
9 California refineries, and I'm here to tell
10 you that our members in Southern California
11 are listening tonight to your hearing. This
12 is important to them, too. They're watching
13 on the web.

14 And the risks you've identified,
15 community members in Wilmington, where there
16 are five refineries and the highest
17 concentration of refineries in the State of
18 California, they're appalled at the risks that
19 you've identified and they have the same
20 problems that people are talking about here in
21 Richmond. They really want you to adopt this
22 report and support the communities statewide.

1 On inherently safer systems, in
2 the Bay Area CBE and labor and the community
3 members worked on many different inherently
4 safer systems, including a phase-out of
5 anhydrous ammonia at Chevron here in the early
6 '90s. That's a familiar chemical nowadays
7 with what happened in Texas. In Southern
8 California, about 10 years later, a phase-out
9 of anhydrous hydrogen fluoride, an unnecessary
10 and deadly chemical.

11 So communities are fighting for
12 very specific inherently safer systems, as
13 well as the flare minimization that Greg
14 talked about. Now we're seeing a backsliding.
15 We're very concerned. We're hearing about a
16 cutting of the trained workforce that is
17 needed desperately right now to deal with the
18 backlog of maintenance problems.

19 And we're also at the same time
20 seeing, for example, Valero wants to bring,
21 right now, tar sands crude oil into L.A. and
22 the Bay Area by rail. We're not waiting for

1 the Keystone pipeline; they want to do it now.
2 That could mean a doubling of sulfur content
3 in the crude oil and an increase of the
4 corrosion risk.

5 So I have those comments, and a
6 couple of questions. I don't know if I may
7 ask a question. If I cannot, then I'll just
8 ask you to please take this into
9 consideration.

10 Number one, has the Chemical
11 Safety Board considered that, in addition to
12 these imminent dangers, we're also facing, at
13 any moment, major earthquakes in both the Bay
14 Area and L.A.? You know, in your beautiful
15 presentation, you were showing the poking of
16 the pipe as a danger for those fragile,
17 corroded pipes. Imminent earthquake danger
18 makes this risk even more urgent.

19 Secondly, I would say that we
20 wanted to know if you were considering
21 requiring, as an inherently safer system, an
22 increase of the workforce so that the steel

1 workers could deal with this backlog of
2 maintenance problems, another imminent hazard.

3 (Applause.)

4 MS. MAY: Thank you very much.

5 (Applause.)

6 DR. HOROWITZ: Thank you. Joel
7 Britton? Joel Britton?

8 Joel Britton? No. Mike Parker?

9 MR. PARKER: Good evening, ladies
10 and gentlemen. My name's Mike Parker. I'm a
11 member of the Richmond Progressive Alliance.
12 I first wanted to thank the Board for bringing
13 an incredible sense of hope to the community
14 of Richmond.

15 For years, people in Richmond have
16 struggled trying to improve the safety and
17 health of the community, and particularly in
18 dealing with the impact of Chevron, and have
19 been met with a phalanx of experts hired by
20 Chevron's money to tell us that we were wrong,
21 that the refinery was run as safely as
22 possible, that there was really nothing more

1 that could be done, and that people would
2 either have to accept the loss of jobs or they
3 would have to live with what they have. And
4 you've given the lie to that, and I want to
5 thank you.

6 I also want to thank you for your
7 introducing the notion of root cause analysis,
8 the idea that it isn't just enough to say
9 "Well, the pipe was corroded." We have to ask
10 "Why was the pipe corroded?" We have to ask
11 "Why wasn't the pipe replaced?" "Why didn't
12 Chevron figure out what to do before?" Et
13 cetera.

14 I think we have to apply, though,
15 the root cause analysis to other things that
16 affect this situation. So for example, we are
17 told that there are only seven OSHA inspectors
18 for 1,600 locations. Why is that? Did nobody
19 notice earlier that there were only seven OSHA
20 inspectors for 1,600 locations? Well, of
21 course people noticed, and of course nothing
22 ever got done.

1 Why is it that the City of
2 Richmond allowed, for years, Chevron to do
3 whatever it wanted to do at that refinery?
4 And even recently, after this fire, Chevron
5 decided on its own that it would rebuild the
6 crude unit exactly the way it was using a 25
7 year old process, rather than listening to the
8 community demands that, if they were going to
9 rebuild that crude unit, it should be rebuilt
10 to new, safer standards.

11 (Applause.)

12 MR. PARKER: Why could they get
13 away with that? The reason that they could
14 get away with that was because they
15 intimidated the City under the law, saying
16 that because they weren't changing the process
17 the City only had ministerial powers, and if
18 they tried to do anything else in terms of
19 regulations of Chevron, and in terms of how it
20 rebuilt this refinery, there might be a
21 lawsuit.

22 And believe me, a Chevron lawsuit

1 is something for every city and county to
2 fear. That's why regulations aren't enforced.
3 The truth is that the reason that we don't
4 have a strong OSHA, the reason that we don't
5 have a city which is able to use the tools it
6 has, is because Chevron spends millions,
7 millions of dollars, buying politicians. They
8 buy them in the City of Richmond, and they
9 pay the money to support those politicians
10 statewide and nationally who will underfund
11 any regulatory agencies.

12 That's why. So let's use the root
13 cause analysis and say if we're going to solve
14 this problem, we also have to deal with the
15 fact that Chevron has political and social
16 power, and that the only way to counter that
17 is to do the things that Mayor McLaughlin
18 talked about, which is, we mobilize the
19 community. We mobilize this nation to say
20 that people must come first.

21 And if we don't do that, if we
22 don't do that, then I'm afraid that all of

1 these excellent recommendations, which I fully
2 support, by the Chemical Safety Board will
3 essentially go the same way as the
4 recommendations of those great Chevron
5 engineers and workers who told Chevron "Hey,
6 we got a problem here," and they chose to
7 ignore them. These will end up getting
8 ignored too, unless we attack the question of
9 Chevron's political and social power.

10 Thank you.

11 (Applause.)

12 DR. HOROWITZ: Thank you. Andy
13 Katz, are you here? Andy Katz?

14 MR. KATZ: Good evening, Board
15 Members. My name is Andy Cats. I'm a clean
16 air attorney for Breathe California. We're a
17 lung health organization. And I want to thank
18 you for the Chemical Safety Board's very
19 serious and diligent response in investigating
20 this incident and in presenting the community
21 and government agencies with some very
22 important recommendations.

1 I think what is very important
2 about those recommendations is the emphasis on
3 prevention, the emphasis on improving the
4 culture of safety and introducing an improved
5 culture of safety. And I'd like to comment
6 about some of the most important aspects to
7 improve prevention of future hazards.

8 I think corrosion audits and the
9 urgency of those audits cannot be
10 underemphasized. There has to be an
11 increased, and very urgent, corrosion audit
12 done at refineries. I think there's a very
13 important need to ensure that these corrosion
14 risks are found and fixed before another
15 catastrophic incident occurs.

16 I think that we've heard a lot
17 about the culture of safety and the problems
18 around that. It's very important that workers
19 be empowered to report what they see around
20 them. Workers are on the front lines, and are
21 in the best position to be able to report
22 those incidents to their management and to Cal

1 OSHA, and there has to be a culture
2 industrywide to make sure that incidents are
3 reported before another catastrophic incident
4 occurs.

5 Likewise, that means that
6 emergency shutdowns have to be a part of that
7 ability, for workers to be able to report the
8 need to do emergency shutdowns, or be
9 empowered in the right protocols to be able to
10 institute those on their own with the right
11 protocols.

12 The deferred maintenance issues
13 are very serious, and like those corrosion
14 audits we need to have a direct responsibility
15 for implementing those.

16 Inherently safer technology has to
17 be required, and in that regard I commend the
18 Chemical Safety Board for recommending that
19 the industrial safety requirements be required
20 on both the local and state levels.

21 Finally, I want to commend the
22 Board for including feed stock in inherently

1 safer technology. Some of the data around
2 corrosion and the relationship between feed
3 stock is very, very informative about how to
4 prevent future incidents from occurring.

5 For recommending for the Chemical
6 Safety Board on how to direct some of these
7 interagency groups, I think the Chemical
8 Safety Board's recommendation about the
9 interagency collaboration, especially about
10 the role of Air Districts, is very vague. And
11 while the need for more OSHA inspectors is
12 very clear, the need for the Legislature to
13 take action to require inherently safer
14 technology, more direction is needed.

15 What happens when agencies come
16 together to collaborate? I urge the Chemical
17 Safety Board to spell out what that
18 collaboration looks like. What are the
19 deliverables? What are the outcomes? And how
20 is transparency improved from doing this?

21 Sometimes when agencies come
22 together in interagency working groups,

1 transparency gets lost because when they come
2 out with a decision, they're not reporting in
3 the normal process. How will interagency
4 collaboration improve transparency rather than
5 obfuscate it? So I'd encourage the Chemical
6 Safety Board to take that seriously and
7 encourage public participation in that
8 process.

9 Thanks again.

10 DR. HOROWITZ: Thank you, Mr.
11 Katz.

12 (Applause.)

13 DR. HOROWITZ: Bishop Andre
14 Jackson, are you here?

15 BISHOP JACKSON: I'd like to say
16 good evening to everyone, to the Board, and to
17 the public, and to the community. It's just
18 a blessing to be here today.

19 You know, I had a lot to say, and
20 I wrote down some things, but I really feel
21 like I'm standing in the gap for the 25 or 30
22 thousand people that don't have the time to be

1 here, and that are not here, and I think a
2 little documentation is better than
3 conversation.

4 I have documentation here to where
5 when you talk about the 15,000 who went to the
6 hospital, mainly you're talking about maybe
7 Doctors Hospital or Kaiser and the County.
8 But I have records of over 113 different
9 doctors and different hospitals where people
10 went to that basically you're probably not
11 even counting. The number might be 30,000, or
12 35,000 people that actually went and saw
13 doctors in different places.

14 So you know, it's one lady, I'll
15 just call her name Miss M, she had reported
16 that she hadn't heard the shelter in place.
17 She evaluated her health being at 6 between a
18 scale of 1 and 10, and after the fire her
19 health went down to a 2. Ringing in the ears,
20 eye irritation, sinus draining, irritation,
21 shortness of breathing.

22 Mr. B, he heard the siren ringing,

1 and he was at a scale of 1 to 10, he had prior
2 existing conditions. His rate after the fire
3 went down to a 2 with chest pains, loss of
4 appetite, dizziness, fatigue, sleeping,
5 chronic coughs.

6 On, and on, and on, and on. So
7 you know, we can fix these pipes and the
8 regulations and whatever, but how can you fix
9 what's already happened? Prevention is one
10 thing, but I mean, it's already happened.

11 (Applause.)

12 BISHOP JACKSON: And I could
13 mention one name of Miss Sherry, because she's
14 a personal friend of mine, she's been to the
15 hospital 15 times. She'll never be the same.
16 She'll never be able to function the way that
17 she used to function. And just like I said,
18 we can fix these pipes, but when people get
19 sick, people die, how can you fix that?

20 So I would like just to see the
21 time that you guys spend on bringing all this
22 here, and what did it cost? You know, the

1 cost to be here? Why don't we maybe have --
2 you know, where we kind of like turn it around
3 and have some respect for the community. And
4 you guys might have to stay here maybe two or
5 three days to hear just the community, just
6 spill on you, and hear the pure facts of
7 what's going on here in the City of Richmond.

8 And we thank you. God bless you.

9 (Applause.)

10 DR. HOROWITZ: Thank you. Sylvia
11 Greywhite?

12 MS. GREYWHITE: Good evening. My
13 name is Sylvia Greywhite, and I'm a member of
14 CBE and Local 350. And my voice is kind of
15 rough today, and it's been like that for a
16 while. And we know why. Usually my voice is
17 very loud, but now for some reason I can't
18 really talk the way I want to talk.

19 But I do want to say, first of
20 all, that I'm very, very happy that you're
21 here. I'm really thankful that you're here.
22 I have prayed to our creator YHWH that he

1 would see and have pity on us. Because we
2 need help here. We really need help. We have
3 been held hostage by a community's government
4 that has not responded to our needs. We have
5 just been ruined. Our community has been
6 ruined because of what has gone on here, and
7 nobody seems to want to take a stand to
8 correct anything that has gone on. That's why
9 I'm really, really thankful. My prayers have
10 been answered, that you've come to help us,
11 because we do need help.

12 And I've looked at the emergency
13 planning and reporting, and I saw where you
14 have this statement that says "the California
15 Code of Regulations requires that owners and
16 operators of hazardous waste facilities make
17 arrangements to familiarize local hospitals
18 with the properties of hazardous waste handled
19 at the facility and the types of injuries or
20 illnesses which could result from fires,
21 explosions or releases at the facility."

22 Now, that has not happened. That

1 has not happened. I, myself, had to go to an
2 emergency facility, not the first day of the
3 fire but three days after the fire. We had
4 bad days. This was the term for it, when they
5 have -- anyways.

6 On the third day after the fire, I
7 had to go to take my friend to the hospital,
8 and I got sick on the way there. And I had to
9 go myself to see the doctor. And you know
10 what they did for me? They took my blood
11 pressure, told me to take an aspirin and a
12 cough drop, and that was it. They had no idea
13 of what was in my body, or what was causing me
14 to feel the way I was.

15 So that information has not been
16 shared with the hospitals. And I'd like to
17 really emphasize that I'm really, really happy
18 that we are addressing the safety issues,
19 okay? But I got sick before the fire
20 happened. I was working for a company in
21 Oakland, and this is like -- I had to retire
22 in 2011 because of this. I would get up every

1 morning and leave home at 7:00. I had to be
2 at work at 8:00. And by 7:15, I would be
3 sick, just from driving and breathing in my
4 car.

5 I'd have to stop -- at that time,
6 because I was employed, I had to stop, I would
7 stop at Kaiser Hospital for attention. They
8 would keep me there for probably half the day.
9 I'm just letting you know how they take you in
10 emergency. They let you lay down for all day
11 long, and they watch you. They may give you
12 an EKG, and if that's okay, they think you're
13 okay.

14 So at 12:00, I'd go to work. And
15 I'm sure my work got tired of that, too,
16 because I certainly did. But they never found
17 any reason for my problems, because they never
18 did test me for what was going on. There has
19 been no communication between the hospitals
20 and Chevron. They have just hidden this from
21 us, so we're not being taken care of.

22 So the CSB is currently evaluating

1 ways to ensure that hospitals have the
2 information necessary to properly evaluate and
3 treat individuals that may be exposed to
4 releases from facilities in Contra Costa
5 County. What I would suggest, first of all,
6 is to have a test. Because when you ask for
7 tests, they don't give you tests.

8 I asked Kaiser for a test for
9 toxicity, because I was aware at that point
10 that there was a problem with the
11 environmental toxins and things in our food
12 and our water and everything. They told me --
13 they had a board meeting, in fact, and sent me
14 a five page letter saying that it was not
15 justified. There was no reason for me to have
16 a test of that kind.

17 And even recently, I asked for a
18 test from Doctors Hospital. They don't have
19 that in their lab. They don't have those kind
20 of tests. So we need to have testing done so
21 that people will know what is in our bodies.
22 We are testing Chevron's pipes, we are testing

1 everything with Chevron, but who is testing
2 us? Nobody knows what we're suffering and
3 going through.

4 (Applause.)

5 MS. GREYWHITE: And we're not
6 being healed, because the hospitals and
7 doctors are not aware, or don't know how to do
8 it, or know what to do. So they treat you for
9 a symptom, and that's what happens. But if we
10 had naturalpathic, homeo, holistic doctors,
11 then they would detox you.

12 And that's the only reason I'm
13 still standing here, is because I did have a
14 friend who turned me on to a naturalpathic
15 doctor who did start a detoxification process
16 on me and sort of helped me to deal with it.
17 But because I am old, I'm 71 years old, I'm
18 not able to deal, my immune system's not able
19 to deal with the situation. And you're going
20 to find that.

21 Now, I had a job, but what good is
22 a job if you can't go to it? And there are a

1 lot of people here in Richmond who have that
2 same problem. They have been employed, or
3 they're able to be employed, but they're too
4 sick to get to work.

5 So we've got to do something, and
6 we need to do it right away. And judging from
7 what has happened, you know, Chevron's been
8 there for over 100 years. And if they're
9 still -- we're still in a situation where
10 we're trying to make them do something
11 correctly and right, then to me that means
12 that there's no point. And at this point,
13 I've had enough. And so my slogan now is
14 "Chevron, stop the fracking and start packing.
15 Get on out of here. We don't need you."

16 (Applause.)

17 MS. GREYWHITE: There are a lot of
18 cities in America who don't have Chevron in
19 their backyard, and they are doing marvelous.
20 And their people are healthy. We can do the
21 same thing.

22 DR. HOROWITZ: All right. Thank

1 you, ma'am.

2 (Applause.)

3 DR. HOROWITZ: Next is Steve
4 Zeltzer.

5 MR. ZELTZER: My name is Steve
6 Zeltzer. I'm with United Public Workers For
7 Action and California Coalition for Workers
8 Memorial today. And it's very interesting
9 we're having this forum tonight, this
10 presentation, because of what happened not
11 only in Boston but in Waco, Texas, where there
12 was another explosion and there had been no
13 investigations of that plant for decades.

14 And the workers there were too
15 terrified to say anything. They're non-union,
16 so they're afraid to stand up for their
17 rights. So there's terrorism in this country,
18 but the corporate media doesn't talk about the
19 Chevrons and these other companies that are
20 terrorizing people in this country.

21 Because it's organized terrorism.
22 They knew that plant was going to blow up,

1 because they weren't doing the proper
2 maintenance. They're criminally negligent.
3 It's criminal malfeasance.

4 (Applause.)

5 MR. ZELTZER: Nobody's talking
6 here on this panel about criminal penalties
7 and putting these executives in jail.

8 (Applause.)

9 MR. ZELTZER: If you or I did
10 this, we would go to jail. But Chevron and
11 the executives apparently have freedom,
12 freedom to get away with this. We'll put it
13 off for another study. Maybe in 20 years we
14 can have another study.

15 Well, actually, the question of
16 criminal prosecution is critical, and
17 California OSHA can criminally prosecute. And
18 Chief Widess doesn't mention that. In fact,
19 she said that they have a problem with
20 inspectors, there are only seven inspectors
21 for the oil industry in California. Well, I
22 have a question. Why the Hell is she giving

1 them a license to reopen that if they don't
2 have enough inspectors to inspect it?

3 (Applause.)

4 MR. ZELTZER: Question: if you
5 don't have enough inspectors, there are only
6 160 inspectors in California for 18 million
7 workers. Governor Brown is very concerned
8 about jobs. He went to China. How about
9 hiring some workers to inspect these
10 facilities?

11 (Applause.)

12 MR. ZELTZER: And make the oil
13 companies pay. But I, frankly, don't believe
14 that we're going to make Chevron a better oil
15 company. Chevron, like the banks, are in the
16 business of making a profit. They're not in
17 business of taking care of the sick people in
18 Richmond. We should require that they build
19 a hospital, a public hospital in Richmond, for
20 anybody who's been sick.

21 (Applause.)

22 MR. ZELTZER: They have the money

1 to do that. Instead of giving crumbs to some
2 non-profit agencies, 50 million dollars for a
3 hospital for the people in Richmond who
4 they've contaminated and poisoned, and the
5 children here in the schools, where you have
6 50 percent asthma. What are they doing about
7 that?

8 Well, I think your board needs to
9 investigate that. These hospitals in Northern
10 California where people are being contaminated
11 and sickened are not doing studies,
12 epidemiological studies, about where people
13 live and how they get sick and why they're
14 getting sick. We need to have liability for
15 these companies, so they have to pay for the
16 people who they're sickening.

17 (Applause.)

18 MR. ZELTZER: The fact of the
19 matter is, this should be part of your study.
20 But frankly, the industry controls that. And
21 that's why the accident in Waco and what
22 happened here will happen again and again,

1 until, frankly, we have public control of the
2 energy industry. We need to have the working
3 people and the public in charge of the energy
4 industry, and not these criminals that are
5 really destroying the world.

6 (Applause.)

7 MR. ZELTZER: Thank you.

8 (Applause.)

9 DR. HOROWITZ: Thank you. Next is
10 Roger Lynn, CBE. Mr. Lynn?

11 MR. LYNN: Good evening Chairman,
12 Members of the Board. My name is Roger Lynn.
13 I'm an attorney with Communities for a Better
14 Environment. I'll keep this quick, just three
15 things.

16 First, I want to highlight one
17 recommendation from the interim report, and
18 that is the requirements for inherently safer
19 systems. Over here, the industrial safety
20 ordinance has too many shoulds and considers.
21 It doesn't have enough shalls. The industrial
22 safety ordinance has to be amended to require

1 inherently safer systems.

2 (Applause.)

3 MR. LYNN: Second, higher sulfur
4 crude. We all know more sulfur means more
5 corrosion, more corrosion means more refinery
6 incidents. Going forward, please focus on the
7 feed stock quality, what refineries refine and
8 what they should not refine.

9 And third, finally, last but not
10 least, to the investigative staff, thank you.
11 You folks have been here since day one of this
12 incident. You've been willing to listen to
13 all the other agencies, community and the
14 workers. And your recommendations are top
15 notch. Board, please accept their
16 recommendations, all of them.

17 Thanks.

18 (Applause.)

19 DR. HOROWITZ: Thank you. Jeff
20 Ritterman. I think he left. I saw him
21 earlier. He's gone, okay. Off to treat some
22 patients, I guess. All right. Llana Garcia?

1 MS. GARCIA: Good evening,
2 Chairman, Board Members and staff. My name is
3 Llana Garcia. I'm an attorney and legal
4 fellow with Communities for a Better
5 Environment, and I'm coming here tonight from
6 Huntington Park in Los Angeles County. I'm
7 here representing our community members in the
8 Southern California region, and in particular
9 in Wilmington.

10 Wilmington is a community which,
11 as my colleague Julia May mentioned, is home
12 to not just one but five refineries. And it
13 is a community that, I'd also have you know,
14 has 30 percent of its residents fall below the
15 poverty line, and it's 85 percent Latino.
16 It's this community that I ask you to keep in
17 mind when adopting your staff's
18 recommendations this evening, and in
19 maintaining transparency from this point
20 forward and making public the final report and
21 recommendations.

22 And we want to thank the staff for

1 its very keen process-oriented safety
2 recommendations, which address many of the
3 shortcut problems, like the overuse of clamps,
4 the lack of documentation and accountability
5 regarding whether or not to address or ignore
6 maintenance and preventative safety
7 recommendations made from front line laborers.
8 We've heard from many of the workers in the
9 Southern California refineries that these are
10 critical problems, so we want to thank you for
11 those recommendations.

12 And tonight, as my colleagues have
13 mentioned, I also want to stress that you
14 consider the imminent threat that's presented
15 by higher sulfur crudes like tar sands, and I
16 want to draw attention to the fact that this
17 is a pressing issue for community members in
18 Southern California, and has actually been the
19 subject of a lot of recent media coverage in
20 the Los Angeles Times and other sources.

21 Our Southern California workers
22 and communities, like many throughout the

1 state and across the country, urgently need
2 protective measures to ensure that the safety
3 recommendations that have been made are not
4 weakened by the absence of an adequate focus
5 on the feed stock crude quality. This is an
6 integral part of a truly inherently safe
7 systems approach to refinery safety, and it
8 would be a tragic missed opportunity to ignore
9 the issue of tar sands.

10 Our members in Wilmington are
11 incredibly concerned with recent statements by
12 corporate leaders, such as those at Valero,
13 that they plan to bring tar sands crude for
14 refining in the Southern California
15 refineries. To reference the call to action
16 that was made by the Richmond Mayor earlier,
17 these are community members who are presently
18 going door to door to alert family members,
19 residents, neighbors of ExxonMobil,
20 ConocoPhillips, Tesoro, and Valero of the
21 hazards that are coming their way.

22 Now, we know, based on the staff's

1 own investigations into other Chevron
2 facilities, like that at El Segundo, that the
3 same sulfidation issues that caused the
4 Chevron fire here are already present in our
5 Southern California refineries as well, and
6 therefore we cannot stress enough the
7 importance of integrating the feed stock
8 quality assessments as part of the inherently
9 safer systems in the recommendations that have
10 been made by the staff.

11 Our communities already suffer
12 from consistent black smoke plumes in their
13 neighborhoods, close to their homes, their
14 schools, and the areas where the public
15 gather. We simply cannot afford a fire such
16 as that which occurred here in August.

17 I want to thank you for seriously
18 considering our community concerns and
19 adopting your staff's recommendations this
20 evening. Thank you.

21 (Applause.)

22 DR. HOROWITZ: Thank you. Marilyn

1 Langlois. I think I saw her earlier. Yes,
2 there she is.

3 (Applause.)

4 MS. LANGLOIS: Good evening. I'm
5 a member of the Richmond Progressive Alliance.
6 My name is Marilyn Langlois. And we met with
7 members of the investigation team shortly
8 after the fire.

9 I really want to thank you all for
10 being here. I know it's late. We're all
11 tired. But this is really important to us,
12 both to those of us who are still here and
13 also to those who couldn't come tonight. I
14 live here in the community, and really we need
15 to take a look at this.

16 I want to thank the investigative
17 team for its really excellent investigation
18 and report, and I really like that animated
19 video you did of a reenactment of the
20 incident. Maybe you could put that on YouTube
21 for everybody to see at home.

22 (Applause.)

1 MS. LANGLOIS: Thank you. It
2 really helps to envision --

3 INVESTIGATOR TILLEMA: We already
4 did, actually.

5 MS. LANGLOIS: -- what it was
6 actually like. And to the Board Members, I
7 urge you to accept and adopt this report.
8 It's an excellent report which paves the way
9 for making a major and necessary shift in the
10 way refineries are operated and regulated
11 throughout the country, not just here in
12 Richmond.

13 There are four themes I've heard
14 this evening that I just want to emphasize
15 briefly. Number one, prevention. And in
16 terms of prevention, I urge you to include in
17 the report, in your recommendations, one of
18 the really inherently safer systems from a
19 preventive standpoint of view, which would be
20 to limit the quality of crude oil, limit the
21 sulfur content from the outset.

22 (Applause.)

1 MS. LANGLOIS: Then you wouldn't
2 have as much corrosion.

3 The theme of transparency. We
4 heard tonight that the pipe that failed, over
5 the last 10 years there had been six times
6 there had been recommendations for inspections
7 that were ignored. There were four times
8 recommendations for upgrade that were ignored,
9 just on that pipe alone. So how many other
10 pipes are there in the refinery where the same
11 thing has happened? There have been ignored
12 inspections, ignored upgrades. And they're
13 out there, operating, ready to blow. Let's
14 stop that.

15 The other theme, worker
16 empowerment, very, very important. We've
17 heard from the steel workers and others that
18 the workers alerted management to a lot of
19 problems before incidents happened, and they
20 were ignored. We need to have the workers
21 heard. They are clearly the experts, as many
22 have said.

1 And finally, enforcement. We have
2 to now get the corporate dollars out of
3 politics, so that we'll have elected officials
4 at all levels who will have the guts to put in
5 place a robust and well-funded regulatory
6 framework that includes criminal prosecution -
7 -

8 (Applause.)

9 MS. LANGLOIS: -- for cases like
10 this where there's been willful negligence.
11 There's no excuse for a multi-billion dollar
12 corporation to put the lives of Richmond
13 residents at risk by its failure to adopt and
14 implement inherently safer systems at all
15 times.

16 Thank you very much.

17 (Applause.)

18 DR. HOROWITZ: Thank you. And
19 that video you mentioned is available on
20 YouTube.com/USCSB, and also on CSB.gov, along
21 with our report, that's on CSB.gov. That's
22 YouTube dot com, forward slash, U-S-C-S-B.

1 And you can get our full report -- it's at the
2 front, but you can also download it and send
3 it to your friends from our website, CSB.gov.

4 All right. Why don't we try --
5 (Off-mic comment.)

6 DR. HOROWITZ: Yes. There will be
7 a transcript made, ma'am, and that will be on
8 our website in a few weeks. You can access
9 that at CSB.gov.

10 I think the -- my understanding is
11 that the television station is going to make
12 an archive of the actual broadcast, and that's
13 KCRT, I believe. Is that correct? Okay.
14 Thank you.

15 (Off-mic comment.)

16 DR. HOROWITZ: Go ahead, sir.

17 MR. CAMPBELL: I know it's late,
18 so I don't want to hold everybody up, but --

19 DR. HOROWITZ: Just say your name,
20 because I don't have it on the list.

21 MR. CAMPBELL: David Campbell,
22 Secretary and Treasurer for Steel Workers

1 Local 675 in Southern California. I want to
2 say that I agree with my steel worker brothers
3 and some of the community members who have
4 explained that this is an industrywide
5 problem. It's not just a problem in
6 California; it's a problem nationwide.

7 (Applause.)

8 DR. HOROWITZ: Okay, thank you.
9 Mr. Campbell, thank you for traveling up for
10 the meeting.

11 How about Alexandria Anderson?

12 (Applause.)

13 MS. ANDERSON: U.S. Chemical
14 Safety Board, distinguished panel members, my
15 name is Alexandria Samantha Anderson. I'm a
16 resident of the City of Richmond. I'd like to
17 thank you all for being here tonight, and for
18 your thorough and professional work. It has
19 been an honor to be here and to listen to your
20 recommendations. I hope that you adopt them
21 tonight.

22 I have a message more for the

1 people of the City of Richmond. That is that
2 the U.S. Chemical Safety Board is not
3 necessarily a traditional regulatory body. If
4 we want to see changes made, then we need to
5 go to the Richmond City Council, the Contra
6 Costa County Board of Supervisors, but these
7 individuals are not the people to go to. We
8 have to put political pressure on our local
9 government.

10 (Applause.)

11 MS. ANDERSON: That's what we have
12 to do, as well as our state and our national
13 government. But in particular, our local and
14 our state government. And we understand that
15 Chevron's a multinational corporation, and
16 multinational corporations in this day and age
17 have a thing about regulatory capture. I
18 won't go into it, but -- excuse me, I'm a
19 little nervous.

20 But we need to ensure that we are
21 putting the maximum amount of pressure on the
22 Richmond City Council and on Contra Costa

1 County. Thank you very much.

2 (Applause.)

3 DR. HOROWITZ: Thank you. How
4 about Inn Vilayngeun? Sorry, it's not very
5 clear. I-N-N, V-I-L-A-Y-N-G-E-U-N, perhaps?
6 No? Okay. All right. Rose Cuelo?

7 MS. CUELO: I'd like to thank you
8 for coming and listening to us. I'm a
9 resident of San Pablo, but I did live in
10 Richmond for a long time.

11 My concern is that if you have an
12 accident, you do something to correct it so it
13 doesn't happen again. August the 6th was not
14 the first accident that Chevron had. They've
15 had several. So going back to the latter part
16 of '99, or the early part of 2000, they had
17 accidents then and they haven't done anything.
18 The community has suffered.

19 You talk about -- you can't -- I'm
20 not saying you, but they can't shut the
21 refinery down to make the repairs as needed,
22 because it would be a hardship on them, but

1 what about the community? Chevron is shutting
2 us down, because they're killing us. I've
3 gone from a size 16 down to an 8, and I don't
4 know whether I'm dying or what, you know? And
5 like the lady said, she's concerned about her
6 health, too.

7 But what is Chevron doing about
8 it? Nothing. And maybe now that you're here,
9 they'll listen to you guys. Because they're
10 not listening to us, as a community. They're
11 doing what they want to do, and all they're
12 doing is getting fined, getting a slap on the
13 wrist, and doing the same thing that they've
14 been doing for years. And they're killing us.

15 That's all I have to say.

16 (Applause.)

17 DR. HOROWITZ: How about Kenji
18 Warren? Is he here?

19 MR. WARREN: Good evening,
20 everybody. One, I would like to thank as well
21 the investigators for your work. It seems
22 that it was done with great integrity, and I

1 appreciate it as a resident of San Pablo and
2 someone who works in Richmond, and I would
3 urge the Chemical Safety Board to adopt the
4 recommendations, and furthermore the
5 recommendations from Communities for a Better
6 Environment.

7 The only thing that I would maybe
8 ask is the recommendation that the plant, the
9 refinery, be shut down immediately --

10 (Applause.)

11 MR. WARREN: -- and that the
12 workers be allowed to make the changes that
13 you're recommending.

14 Thank you very much.

15 (Applause.)

16 DR. HOROWITZ: Okay. Next is
17 Frank Cambra.

18 MR. CAMBRA: Thank you for the
19 opportunity to speak to the Board and the
20 panel tonight. My name is Frank Cambra, and
21 I'm a former employee of Chevron. I worked
22 for Chevron for 25 years, and I feel obligated

1 to be here tonight as I was here eight months
2 ago at the onset of the study. Some of you
3 may have been at that meeting, and at that
4 meeting I gave some of my background, and I'd
5 like to do that. At the sake of being
6 repetitive, I'll tell you a little bit about
7 myself.

8 I would like to address the
9 incident that occurred, and I would like to
10 make two predictions and three
11 recommendations, and then I'll be done.

12 Frank Cambra, graduate of U.C.
13 Berkeley with a Master of Engineering in
14 structural engineering. While I was attending
15 Berkeley, I was working for Chevron as a co-
16 op, and I did an investigation of cooling
17 towers that were subject to collapse. One had
18 just collapsed in Pascagoula. A second we had
19 repaired in El Paso, Texas. And then the
20 third in El Segundo, which was subject to
21 collapse, and I investigated it and made
22 recommendations to repair it. And on the

1 recommendations to the chief of engineering at
2 El Segundo, I was told point blank "Son, you
3 don't understand oil field economics. There's
4 no money to repair this tower. Maybe next
5 year."

6 And a year later, while I was in
7 graduate school at Berkeley, the tower
8 collapsed. It was an Ecodyne Redwood cooling
9 tower, and pieces of the tower went for 100
10 yards in all directions. And it was at that
11 point that I decided that, following my Master
12 of Engineering, I would get a Master of
13 Business Administration with an emphasis in
14 economics. I was not going to have a Chevron
15 manager tell me I didn't understand economics
16 again.

17 And that was the onset of 25 years
18 with Chevron. Sadly, it didn't get better.
19 I was discharged from Chevron in Kazakhstan on
20 the Second Generation Project where we were
21 building the largest oil plant of the day in
22 the world. I think it was 200,000 barrels of

1 oil per day of sour crude. And there were
2 many problems, but among them was the
3 compaction of roadways, and I wanted to comply
4 with API standards. And I was told "This is
5 not California. This is Kazakhstan. We do
6 not have to comply with API standards." And
7 I was appalled.

8 And that was one of a number. I
9 don't have enough time to go into some of the
10 others. And that's why I'm here tonight.
11 Now, in respect to your work, if you recall,
12 eight months ago, I asked you one question:
13 will you do your job?

14 And I'm here to say that the U.S.
15 Chemical Safety Board has done their job, and
16 I commend you. I think your recommendations
17 are outstanding, and I can only hope that they
18 will be endorsed and embraced by Chevron
19 management. I have some doubts. I think they
20 will be resistant. They will try to spin it
21 and change it to accommodate their own
22 requirements.

1 But I do commend you, and I
2 commend others that have also made
3 presentations tonight on their assessments,
4 and I feel that I am being a bit redundant in
5 what they had to say. But as I see it, your
6 technical assessment and your regulatory
7 recommendations are excellent.

8 We have a case of they built the
9 plant, they connected it to a pipeway.
10 Somewhere in the connection between plant and
11 pipeway, an eight inch piece of carbon steel
12 was utilized in a jumpover, a connection of
13 two plants, that was in effect inadequate for
14 that type of service. Carbon steel in
15 hydrogen sulfide service. I said this eight
16 months ago. Really? Carbon steel in hydrogen
17 sulfide service is not acceptable, and that's
18 kind of known throughout industry.

19 Well, we talked about flagging on
20 inspection. I heard about that. Yes,
21 flagging on inspection, "We test wall
22 thickness and we have to make repairs, we have

1 to do maintenance." Why wasn't that pipe
2 flagged for its age? The pipe was 40 years in
3 service. It was known to be carbon steel.
4 And yet I don't hear anything in our safety
5 management of flagging for age. Take that
6 into consideration, if you will.

7 I'd like to make two predictions.
8 The first prediction, sadly, and it's been
9 alluded to earlier, we live in a seismically
10 active area. We know, USGS is telling us, we
11 have a Hayward Fault, and we're on it right
12 now. When that fault erupts, we will have a
13 magnitude 7 earthquake in this Bay Area. It's
14 going to happen.

15 And Chevron knows that their tank
16 farm on the Richmond hill is inadequate to
17 sustain that type of an earthquake. Those
18 tanks are going to rupture. Those tanks are
19 going to spill their contents. The crude, the
20 product and everything in that tank, every
21 full tank in that farm is going to fail. And
22 they know that. And there's reasons to

1 understand that going back to the Richmond
2 field studies where earthquake simulation was
3 conducted back in the 1980s, okay?

4 Second prediction, and I'm
5 speaking from my knowledge of working for
6 Chevron on these activities. There's going to
7 be a hydrogen sulfide release in Kazakhstan
8 from their rich sour gas injection in the next
9 10 years. It's going to happen, and it's
10 going to be horrific, the amount of hydrogen
11 sulfide that's going to get released from the
12 sour gas injection system. The injection pipe
13 operates at 9,000 psi. It's already been
14 compromised once during its commissioning,
15 okay?

16 To conclude, three
17 recommendations, and I think they've already
18 been discussed, for the most part.

19 One, there's no need for sour
20 crude at Richmond. Stop placing sour crude
21 through the Richmond refinery. That should be
22 a recommendation.

1 (Applause.)

2 MR. CAMBRA: Certainly until they
3 have proven without a doubt that there is no
4 other piping risk that exists at Richmond.

5 Second, a million dollar fine from
6 OSHA is a slap on the wrist. Chevron's net
7 profit per hour is a million dollars. And
8 they're going to fight that fine of one
9 million dollars with five or ten million just
10 to get it off the books. Imagine. That's
11 going to happen.

12 DR. HOROWITZ: Just briefly, if
13 you will?

14 MR. CAMBRA: Thank you. And the
15 last recommendation I have, or second
16 recommendation I have, is to shut down this
17 crude unit number four.

18 (Applause.)

19 MR. CAMBRA: We do not need
20 processing of distillate at crude unit number
21 four. That's how you get management's
22 attention. We talked about -- I'll be brief -

1 - inherently safer systems. What we need is
2 inherently safer management. That's what's
3 missing. Management hasn't endorsed the
4 people like myself or the people from the
5 steel workers who come in and identify a
6 problem. No, they fire them. Got rid of the
7 problem, didn't I?

8 (Laughter.)

9 MR. CAMBRA: And the last
10 recommendation, and this is really for the
11 City's consideration. We should -- you know,
12 Richmond refinery built in 1902. This was a
13 wilderness. This was the end of civilization.
14 Today, it's the center of a metropolitan area.

15 (Off-mic comment.)

16 MR. CAMBRA: Thank you.

17 And as the center of a
18 metropolitan area, our risks are much greater
19 than they were in 1902. So my recommendation
20 is, we need to move with the times. We need
21 to convert Richmond from a refinery to a
22 blending and marketing plant.

1 (Applause.)

2 MR. CAMBRA: We need the energy,
3 but the times demand change away from refining
4 here in this community.

5 Thank you.

6 DR. HOROWITZ: Thank you. Paula
7 Shields, perhaps? I'm not sure about that.
8 Victoria Sawicki? Maybe you could say that
9 for me.

10 MS. SAWICKI: Okay. Victoria
11 Sawicki. I am a resident --

12 DR. HOROWITZ: Thank you. How do
13 you spell that, ma'am?

14 MS. SAWICKI: S-A-W-I-C-K-I.

15 DR. HOROWITZ: Okay.

16 MS. SAWICKI: I'm a resident of
17 Richmond. I'm also on the Meiklejohn Civil
18 Liberties Institute. It's a human rights
19 organization.

20 You know, I've been to so many
21 community meetings about Chevron in the last
22 10 years. I have seen and read different

1 studies, reports have been made. Your report
2 was fantastic. I appreciate the honesty and
3 the straightforwardness. I've heard about
4 regulations that have been violated, safety
5 procedures that have been ignored, and workers
6 that have not been listened to. It's not only
7 in the United States. I believe it's all
8 over.

9 And you know, on the one hand when
10 I hear a Henry Clark, or a Marilyn, or the
11 young gentleman that stood up and said he
12 wants to close the plant, the youth speaking
13 up like that, I'm inspired. But then, when I
14 hear OSHA, the woman from OSHA, you know, what
15 can she do? She can't do anything. EPA has
16 not done anything. All of the departments
17 have failed the citizens of Richmond. They
18 have failed the citizens of West, Texas.

19 (Applause.)

20 MS. SAWICKI: When Steve Zeltzer
21 got up and said the corporations have the
22 right to do this and do that, they had the

1 right to kill. And they could have killed
2 those 19 employees that we saw in that video.
3 They could be dead now. They have the right.
4 They have the right. What can you do? You've
5 worked hard, you did your best, you put the
6 truth out there. Now, what are you going to
7 do? You can't do anything. It's up to us.
8 You know, and I feel like --

9 (Applause.)

10 MS. SAWICKI: You know, it's
11 frightening. Because I know Henry Clark has
12 been fighting for decades, decades, and
13 there's been some improvement but really
14 things are getting worse right now. And you
15 know, you hear Chevron, they send out all this
16 literature in the mail about what a great
17 neighbor they are. Lies, lies and lies.

18 You know, the first community
19 meeting, you guys weren't here. The one right
20 after the big cloud and the big fire. People
21 -- this place was packed. And this one woman
22 -- you know, Chevron was up there with all

1 their suit coats and their ties, and they're
2 giving their little spiel. And the community
3 kept saying "There was an explosion, there
4 was," and they're "No, no, no."

5 But we were right. They were
6 wrong. We've been lied to and lied to so
7 much, it's just -- we've had enough. It's
8 just ridiculous. And I don't know what this
9 is going to accomplish, what this meeting here
10 is going to accomplish. Chairperson Rafael,
11 you eloquently said, twice I believe, that
12 human beings are precious. Really, they are.
13 I believe this woman here that spoke was in
14 tears, and the other woman that doesn't know
15 what's happening within her body. How many
16 children couldn't breathe and had to be rushed
17 to the hospital?

18 But you're not seeing that today,
19 see? We're all here, and we're all tired
20 right now. And you know, how are we going to
21 -- I agree with you that people are precious.
22 What do we do with people that don't think the

1 way that we do? Does Chevron think this woman
2 is precious? Do they think that the community
3 is precious? What about the workers? The
4 workers that were ignored, are they precious?
5 Do they matter? Are they listened to? No.
6 Nope.

7 So the point is, actions speak
8 louder than words. I'm tired of Chevron's
9 words. I'm sure the rest of the community is,
10 too. What does Chevron really care about?
11 You know, it's not about -- you've had some
12 sort of -- I don't know, the way you put it,
13 some upper management decisionmaking process
14 has to be examined.

15 Well, you know what it is? They
16 don't care about the community. They care
17 about one thing, and that is money. They care
18 about profit. They could have fixed that
19 pipe, but they chose not to because they
20 didn't want to spend the money. And all the
21 other pipes that are in there, they do not
22 want to spend the money. And the only way

1 that we're going to change things is not by
2 trying to kind of talk them into being a good
3 oil company, which I believe is impossible.
4 And I just want to -- last thing. The right
5 to breathe clean air is one of the most basic
6 human rights.

7 (Applause.)

8 MS. SAWICKI: Thank you.

9 (Applause.)

10 DR. HOROWITZ: Thank you. Roberta
11 Spruckerman, or Speakerman? What was that,
12 ma'am? Speakerman.

13 MS. SPEAKERMAN: Hello. I did
14 want to thank you for what you put out, partly
15 because I would get -- this is not my field,
16 and I would get so frustrated with what I knew
17 was happening but I couldn't put my finger on
18 it. And now I'll have a way to do some of
19 that.

20 One of the things -- I thought
21 about the Pinto. Remember the Ford Pinto?
22 There it was. You know, cost-benefit

1 analysis. And that's what this feels like.
2 And it's everywhere within the system. And
3 for you, if there's any place that you are
4 thinking you might soften your word or couch
5 your terms diplomatically, the industry's
6 response should make you aware that it's going
7 to be denied. "No, safety is our first, most
8 important thing." I mean, so make it as
9 strong as you can. And I never had an
10 breathing problems until I moved to Richmond,
11 and now I do.

12 And the last thing is the
13 transparency issue. Because nothing was
14 shared with Kaiser, they had no idea what to
15 tell the people who were coming there.

16 That's it. Thanks again for your
17 work.

18 (Applause.)

19 DR. HOROWITZ: Thank you.

20 CHAIRPERSON MOURE-ERASO: Mr.
21 Horowitz, do you think that we could find by
22 a show of hands how many more statements we

1 have? Because we need to take the vote before
2 the day is over.

3 DR. HOROWITZ: Mr. Chairman, I
4 have about 10 who are still signed up, sir.
5 Let me just take a -- I'll call the names that
6 are here, and if you show your hand, okay?

7 Michael Leedy, are you here?

8 Okay, he is here.

9 And Bill Pinkham, are you here?

10 Bill Pinkham is not here. Okay.

11 And how about Eduardo Martinez,
12 are you here?

13 (Off-mic comment.)

14 DR. HOROWITZ: Okay. How about
15 Sylvia Hopkins?

16 She is here? Okay, you are here.

17 Great.

18 And Mary Flanagan?

19 You are here. Okay. And Steve
20 Ongerth?

21 You are here. We just spoke a
22 moment ago. Sorry about that.

1 Melvin Willis?

2 Melvin Willis is here. Sandy
3 Satyrn?

4 She left, okay. How about Dan
5 Berman?

6 Dan Berman is here. And so, Mr.
7 Chairman, we have one, two, three, four, five,
8 six. That's seven.

9 CHAIRPERSON MOURE-ERASO: Let's go
10 for it.

11 DR. HOROWITZ: Okay. All right.
12 Michael Leedy, why don't you go first?

13 CHAIRPERSON MOURE-ERASO: I will
14 beg that the speakers please look at your
15 watch and just put a limit of three minutes to
16 your remarks. We will be happy, and the
17 people behind you will appreciate it.

18 MR. LEEDY: Good evening,
19 everyone. I'm a 34 year Richmond resident.
20 I was a board member on the West County Toxics
21 Coalition, and I served on the local Emergency
22 Planning Committee in the '90s. I was also a

1 staff member of CBE. I made recommendations
2 for the RMPP, the risk management prevention
3 plan, concerning anhydrous ammonia and
4 hydrogen sulfide.

5 I wholly endorse the
6 recommendations of the Chemical Safety Board
7 staff, and in addition I'd like to ask that
8 you put in the recommendations from Mr.
9 Espinoza, Mr. Karras, Mr. Wilson and Ms. May,
10 in particular concerning threats with respect
11 to the earthquake hazards that we have in this
12 area and the release of dangerous chemicals.

13 So the incident that we had on
14 August 6th was pretty symptomatic of what
15 happens with multinational corporations, and
16 they're putting our communities at risk to
17 drive their corporate profits. And basically
18 what they did, they took a gamble and they
19 rolled the dice in our community, and they put
20 our community at risk.

21 They took a calculated risk that
22 the accident would not occur, and they ignored

1 a lot of recommendations, recommendations by
2 experts in their environs, their workers. And
3 they presented these recommendations, and they
4 ignored them. So they rolled the dice again,
5 but they got caught this time.

6 And they made the calculated risk
7 that, even if they got caught, that they'd be
8 able to bully the public officials and the
9 regulators to manage this, using their high
10 priced lawyers and their expensive public
11 relations folks.

12 So after all this, basically what
13 it came down to is money. They took a risk
14 that, if they didn't need to -- even if they
15 had a spill and they had to do the public
16 relations cleanup and the other things that
17 went along with it, all of the money that they
18 had to spend with that, they would still be in
19 a situation -- they felt that they could still
20 take that risk and, even with the potential
21 risks -- and by the way, it wasn't the kind of
22 risk that -- the risk could have been a lot

1 worse because of the wind factor -- let me
2 just settle down a little bit. Let me just
3 settle down.

4 They didn't think that, even with
5 all of the potential risks that we had with
6 the incident in Richmond, and with the
7 problems that we had because -- all right.

8 DR. HOROWITZ: Take your time.

9 MR. LEEDY: I'll stop.

10 DR. HOROWITZ: All right.

11 MR. LEEDY: One second. What we
12 need is to institute fines and penalties that
13 will -- at a magnitude that will give the
14 corporate managers pause before they roll the
15 dice on our community. And secondly, it's
16 high time that we install and enforce severe
17 criminal penalties for the corporate criminals
18 that put our communities at risk. We need to
19 have enforceable rules and criminal penalties
20 and fines that make it much more risky for
21 them to even consider taking these kinds of
22 risks in our community.

1 Sorry about the -- thank you very
2 much.

3 DR. HOROWITZ: All right. Thank
4 you.

5 (Applause.)

6 DR. HOROWITZ: And we go to
7 Eduardo Martinez, please.

8 MR. MARTINEZ: Since my time is
9 limited, I will skip all the preamble and get
10 down to the points that I want to make. And
11 one of them is that, well, I own an old '87
12 Chevy pickup truck, and it has to go to a
13 special place to be smogged. If it doesn't
14 pass, I can't drive it.

15 (Applause.)

16 MR. MARTINEZ: Even if I were to
17 take it to court and say "You know, this smog
18 test was bogus and I want to drive it anyway,"
19 I can't do it. Likewise, Chevron should not
20 be able to operate their plant --

21 (Applause.)

22 MR. MARTINEZ: -- just because

1 they want to contest your findings. So you
2 should recommend that Chevron not operate the
3 plant, even if it's in litigation, until it's
4 repaired.

5 (Applause.)

6 MR. MARTINEZ: Just the same way I
7 have repaired my truck.

8 The other thing is that Chevron
9 loves litigation. They have tried to rob our
10 community of thousands, millions of dollars
11 through asking for property taxes back. We
12 need to make it difficult for them to waste
13 our money in litigation, somehow, and we also
14 need to make them responsible for the health
15 impacts that they make on our citizens. We
16 need to put into the recommendations a
17 community benefit agreement in which Chevron
18 puts money into the community so that we can
19 take care of the damage that they caused.

20 Thank you.

21 DR. HOROWITZ: Thank you. Next is
22 Sylvia Hopkins.

1 MS. HOPKINS: Yes, I live in
2 Atchison Village, close to Chevron. I'm a
3 member of CBE and RPA.

4 I have heard that there's been, in
5 the industry, a style adopted recently, a
6 practice, where managers of refineries are
7 there for two years. And they get a promotion
8 next time if they do well while they're there,
9 and that includes keeping costs down.

10 I wonder if you could, somewhere
11 in your report or in your recommendations, if
12 part of safety could be that the manager needs
13 to live nearby and be there for a much longer
14 period of time, like they used to be. I think
15 that might help things.

16 (Applause.)

17 MS. HOPKINS: Thank you. And my
18 next recommendation is that Chevron be caused
19 to build a hospital here and everybody gets
20 health care.

21 (Applause.)

22 DR. HOROWITZ: Thank you. Mary

1 Flanagan is next.

2 MS. FLANAGAN: Hi. I urge the
3 Board to accept the report. And I'm a
4 teacher. I've been in this district eight
5 years. I'm a proud member of United Teachers
6 of Richmond. And I'm particularly concerned
7 about the daily effects of Chevron emissions
8 on the children. Teachers are aware that just
9 one byproduct of the refinery process, which
10 includes mercury, benzene, et cetera, just one
11 byproduct, lead, seriously affects infant and
12 child development.

13 Children are affected by even
14 small amounts of lead, and the lead's already
15 in the soil. And lead ingested by children
16 can cause lifelong learning disabilities,
17 issues of aggression. And that's not really
18 documented in our district. It's very, very
19 hard to get the kids through the process of
20 being diagnosed and identified.

21 Richmond still has lead in the
22 soil from lead additives in the gasoline

1 process that was discontinued in the '70s.
2 The lead doesn't dissipate, it doesn't go
3 anywhere, and there's a long Mother Jones
4 article about this massive issue of
5 contamination, and another issue is that 30
6 percent of the kids at my school have asthma
7 medication. We're about a mile from the
8 refinery.

9 It's essential to have outside
10 regulation on the Chevron refinery. Richmond
11 has had many, many explosions, fires and leaks
12 over the last 40 years, and Antonia Juhasz
13 documents this in her book, The Tyranny of
14 Oil.

15 And isn't it true that Chevron
16 minimally updated and renovated their refinery
17 over the last 40 years? The refinery's over
18 100 years old, but if Chevron did extensively
19 renovate they would have been subject to the
20 criteria written into the 1972 Federal Clean
21 Air Act, and that act stipulates that
22 particular safety and filtering improvements

1 be put in place when Chevron or a corporation
2 spends money renovating, as soon as the
3 refinery is rebuilt or extensively renovated.

4 But Chevron did not extensively
5 renovate or rebuild the refinery. They
6 continued to use the old refinery, minimally
7 renovating, so that they avoided being subject
8 to the provisions of this 40 year-old Clean
9 Air Act. And they would not invest that
10 money, and thereby they seriously endangered
11 and harmed the residents of Richmond, and the
12 children, more than one generation of
13 children.

14 Chevron must not be allowed to
15 self-regulate. Children's health is not their
16 priority. Safety is not their priority. I
17 urge you to adopt the CSB report and
18 recommendations. Thank you.

19 (Applause.)

20 DR. HOROWITZ: Thank you. Steve
21 Ongerth? Spell it for me one more time, if
22 you would?

1 MR. ONGERTH: Why don't I just
2 pronounce it for you? My name is Steve
3 Ongerth.

4 DR. HOROWITZ: Can you give me the
5 spelling for the court reporter?

6 MR. ONGERTH: O-N-G-E-R-T-H.

7 DR. HOROWITZ: O-N-G. Okay, thank
8 you. Sorry about that.

9 MR. ONGERTH: Okay. Well, I am a
10 union member and an environmentalist. I'm a
11 member of the Industrial Workers of the World.
12 I'm also a union ferryboat deckhand.

13 I grew up in this community. I
14 graduated from high school, and our ceremony
15 was held in this very auditorium in 1989. And
16 the issues at Chevron were issues then. I'm
17 also a graduate of U.C. Berkeley, but I think
18 I really got my education in the campaign to
19 save Headwaters Forest.

20 And I just recently wrote a book
21 which is about to be published about very
22 similar conditions that existed in the timber

1 industry, where timber corporations were
2 exploiting workers and destroying the
3 environment, and the conditions in the timber
4 mills were atrocious.

5 I think it's kind of an
6 interesting coincidence that this incident
7 happened in West, Texas because before I lived
8 here, I lived in Ennis, Texas, which is not
9 too far away from West, Texas. And while
10 we're having this discussion tonight, a worker
11 was killed in Santa Rosa when glass fell on
12 him.

13 And I have to say that I do
14 appreciate the work that the Board has done.
15 I think it's a tremendous step forward, and I
16 think the recommendation should be adopted.
17 But it's very interesting. Almost 99 percent
18 of the people here agree. The only person who
19 doesn't agree is the person who's saying that
20 the industry should regulate itself. I think
21 we've seen the results of that. It's not very
22 good.

1 But I think, as much as I think
2 these recommendations are a good start, I
3 think we need to really look at the elephant
4 in the room, and that is the fact that we have
5 an economic system where the wealth is
6 privatized and held by the few, and the costs
7 are outsourced to the community and to the
8 environment, and it is not working. In fact,
9 it is killing the planet. So I think this
10 cannot continue.

11 It's about time, and I think it's
12 great to see that we are finally starting to
13 evolve and develop a backbone. We need to do
14 more than that. We need to put an end to this
15 murderous system. We need to be in control,
16 not the industry. Because the results are not
17 only dangerous, they're killing us, and
18 they're killing us every day. And it hasn't
19 stopped in 100 years, and until we get
20 stronger and more organized it's going to
21 continue.

22 So once again, I think it's time

1 that these recommendations be a start, but we
2 have a lot more work to do. Thank you very
3 much.

4 (Applause.)

5 DR. HOROWITZ: Thank you. Melvin
6 Willis?

7 (Applause.)

8 MR. WILLIS: Good evening. My
9 name's Melvin Willis. I'm out here
10 representing ACCE. It stands for Alliance of
11 Californians for Community Empowerment.

12 First, to start off with, I love
13 all the recommendations that were made. It's
14 finally good that this is being realized, not
15 only just at a local level but from a national
16 standpoint, for people to come all the way
17 from Washington, DC just to come here and do
18 a thorough investigation and see what the
19 problem is, and not only apply it to this
20 situation over here, but recommendations that
21 should be applied to refineries all across the
22 United States. And I really appreciate that

1 we can get some sort of blessing out of this
2 curse.

3 But I just want to say that, you
4 know, just echo the fact that 10 years ago, on
5 the date of the refinery fire, they had a
6 recommendation that it should be replaced. I
7 was 12 years old then. I've kind of sprouted
8 up since then.

9 (Laughter.)

10 MR. WILLIS: So we can see how
11 time can really play a factor when it comes to
12 many things, including wearing and tearing.
13 And you can imagine, if that's happening in
14 that crude unit, how many other -- actually,
15 there's 2,000 clamps, so we've got 2,000 other
16 units that need to be addressed as well.

17 So this is a great step for things
18 to get done. I appreciate you guys coming out
19 here. I think you should accept these
20 recommendations. They're great
21 recommendations, with Greg Karras's
22 recommendation that you put it as urgent.

1 Because if we've got 2,000 clamps, and Mayor
2 McLaughlin said there were about 14
3 explosions, this is an urgent matter that
4 needs to be addressed quickly, and we can't
5 let time go by. Because weather conditions
6 made it to where nobody died, but who knows
7 what will happen the next time, if there is a
8 next time. Hopefully there's not.

9 Thank you.

10 DR. HOROWITZ: Thank you. Dan
11 Berman?

12 MR. BERMAN: Hello. My name is
13 Dan Berman, and I've worked on and off in the
14 area of occupational health and safety,
15 including with Brother Rafael. We both worked
16 for the Oil, Chemical and Atomic Workers,
17 closely with Anthony Mazzocchi.

18 And I think that's where he gets
19 some of his ideas of holding these open
20 sessions. Because that's how the Oil,
21 Chemical and Atomic Workers first got the
22 Occupational Safety and Health Act passed.

1 They had these open sessions for people
2 throughout the union, in each of the ten
3 districts of the union.

4 In any case, I wanted to speak on
5 two things. I think what we're really talking
6 about is about democracy. And I don't mean
7 just democracy in the sense of elections and
8 so forth, but also democracy at the place
9 where people work. And what happens if people
10 don't have the right to protest, the right to
11 raise hell, the right to blow the whistle as
12 workers and as intelligent people in the
13 plant? Nothing gets done.

14 I want to cite one case that Steve
15 Zeltzer, who testified here earlier, he's gone
16 home, but he put it on Labor Video Project.
17 There's a woman named Becky McClain who worked
18 for Pfizer. She was a molecular biologist.
19 She noticed she was getting sick. She was
20 also on the safety committee. A non-union
21 shop in Deep Water, Connecticut.

22 So they said "Don't keep listing

1 these hazards." She couldn't help herself,
2 because it was so blatant. So she filed an
3 OSHA complaint. She wanted some sort of
4 response. The lady from Federal OSHA came
5 down from Boston -- and then she got fired
6 immediately.

7 So the lady from Federal OSHA said
8 "I don't think you're going to win this case."
9 They only deal with one case in 200. They
10 just have no -- "we have no staff, no way to
11 deal with this."

12 Well, what happened is, she took
13 the company to court in April of 2010. She
14 won a 1.4 million dollar judgment in the
15 federal court. It was upheld in the Second
16 Circuit last October, so the company's going
17 to have to pay up.

18 Now, of course, Pfizer is the
19 biggest pharmaceutical company in the land, or
20 in the world, and so it doesn't really mean
21 much to them except as a matter of principle.
22 But she stood up for her rights. Her husband

1 supported her completely. They don't have any
2 kids, so they didn't have to worry as much
3 about where the next meal was going to come
4 from, although -- and so that's what happens
5 sometimes.

6 And as fewer and fewer workers
7 have unions to represent them, and it's down
8 to seven percent in the private sector, which
9 is the sector she was in, they don't even have
10 the semblance of protection. And so that's
11 something to worry about: democracy.

12 And the second thing is, I was
13 wondering about -- this is what Tony Mazzocchi
14 said one time. We were having this
15 discussion. The refinery industry and Oil,
16 Chemical and Atomic Workers had refineries all
17 over the country. They used to have
18 turnarounds that lasted a month just every
19 year, and they would shut everything down and
20 they'd work on it when the refinery wasn't in
21 operation. That's why they had fewer
22 explosions in those days: they took the time

1 out.

2 The second issue was, the people
3 who worked on the refinery every day did the
4 turnaround, so they knew where the problem
5 was. They wouldn't allow the company to bring
6 in, you know, non-union, ignorant workers that
7 don't know very much about the process just
8 because it was cheaper. And this has always
9 been an issue in that industry.

10 DR. HOROWITZ: Just briefly,
11 please, Mr. Berman.

12 MR. BERMAN: I'll let you --
13 that's enough. I'm done.

14 DR. HOROWITZ: You can finish your
15 comment.

16 MR. BERMAN: My only point is you
17 need trained people. Just as you need to be
18 trained to drive a bus, you should be trained
19 to sit in the control room, and you shouldn't
20 have to sit in there for 12 or 14 hours in a
21 row, because you're going to get tired, and
22 it's a fatigue problem.

1 Thank you.

2 (Applause.)

3 DR. HOROWITZ: Thank you. Elliot
4 Hughes, and he is the last.

5 MR. HUGHES: Hi. My name's Elliot
6 Hughes. I used to live in Richmond, but I
7 moved to Oakland. I was kind of -- I have
8 lung problems, and I was badly affected by the
9 refinery fire.

10 I just wanted to make this point.
11 And I'm really nervous, actually. I don't
12 ever really speak in front of large crowds.
13 But I'm also a member of the Industrial
14 Workers of the World, and I'm an
15 environmentalist and a unionist.

16 What I see, the negligence that
17 Chevron has had over this refinery, is just
18 atrocious. And I want to say, if it comes to
19 that they want to start this refinery back up
20 with 2,000 clamps on it, the community and the
21 workers need to unite together and even take
22 direct action to make sure that this refinery

1 does not run conditions that may be unsafe for
2 the workers, the communities, or the
3 environment as a whole.

4 So, thanks.

5 (Applause.)

6 DR. HOROWITZ: Thank you. That's
7 it, Mr. Chairman.

8 CHAIRPERSON MOURE-ERASO: Thank
9 you, Doctor Horowitz.

10 So I would like to pass the gavel
11 to Richard Loeb, the General Counsel of the
12 CSB, to conduct the vote for us.

13 MR. LOEB: I need a motion. But
14 would you like me to take the --

15 CHAIRPERSON MOURE-ERASO: The
16 whole thing. You're the lawyer.

17 MR. LOEB: Well, then, I guess the
18 question then, which the Board -- would you
19 like to make the motion?

20 MEMBER GRIFFON: I can make a
21 motion, yes.

22 MR. LOEB: Thank you.

1 MEMBER GRIFFON: I would move that
2 the Board approve the interim investigation
3 report on the Chevron Richmond refinery fires,
4 and all the recommendations, and the
5 associated video.

6 MEMBER ROSENBERG: I second that
7 motion.

8 (Applause.)

9 MR. LOEB: I will call the vote.
10 Doctor Rosenberg?

11 MEMBER ROSENBERG: Aye.

12 MR. LOEB: Mr. Griffon?

13 MEMBER GRIFFON: Aye.

14 MR. LOEB: Doctor Moure-Eraso?

15 CHAIRPERSON MOURE-ERASO: Yes.

16 (Applause.)

17 MR. LOEB: In that case, we have
18 three votes in favor, and it is unanimously
19 passed.

20 (Applause.)

21 CHAIRPERSON MOURE-ERASO: I have
22 some very fast closing remarks. I only have

1 thanks to give. Thanks to the public that has
2 stayed here to the last minute and accompanied
3 us, and we hear from your wisdom and listen to
4 what everybody says.

5 I would like also to thank the
6 wonderful panel that we have, and the
7 presentations that they make. And also, I
8 would like to thank again the CSB
9 investigation team and the communications
10 department, who were the ones to set up this
11 meeting and allow us to be here.

12 So thank you very much, and good
13 night.

14 (Applause.)

15 (Whereupon, the meeting was
16 concluded.)

17

18

19

20

21

22

A				
abbreviate 166:16	accompanied 270:2	44:8 83:12 120:14	adverse 17:2	ahead 225:16
ability 64:2 103:3	accomplish 169:1	128:17 144:10,14	adversely 112:2	aim 54:11
109:3 171:6 199:7	242:9,10	Additionally 49:19	advice 13:10,17	air 19:15 24:16
able 6:5 46:18	accountability	additives 254:22	64:14 112:8	59:6 69:17 73:10
105:7 127:13	46:11 56:18	address 20:13	182:19	73:11,14 80:9
128:8 188:12	155:11 156:1	72:10 85:18 97:6	advocacy 179:5	91:10 125:17
196:5 198:21	163:17 218:4	105:8 114:13	affect 177:5 194:16	129:8,11 197:16
199:7,9 203:16	accountable 47:3	124:15 135:15	affiliated 116:9	200:10 244:5
209:18,18 210:3	50:8 56:11 163:5	138:7 218:2,5	affiliation 116:8	255:21 256:9
249:8 251:20	164:14 165:4	231:8	afford 75:18	alarm 163:21,22
absence 219:4	173:2	addressed 82:6	119:19 220:15	alarming 84:4
absolute 176:22	achieve 45:17	117:2 129:7	afraid 196:22	ALARP 45:12,13
absolutely 87:15	achieved 120:15	138:11 167:19	211:16	55:20 119:22
108:11	acid 181:4	261:16 262:4	Africa 159:13	120:10,15 169:22
abuse 76:5,5	acre 21:13	addressing 139:5	Afro 160:8	170:18
abused 76:3,4,9,10	act 103:4 105:13	151:18 206:18	aftermath 103:22	Alberta 165:22
ACCE 260:10	255:21,21 256:9	add-on 113:18	afternoon 22:10	alert 167:11 219:18
accelerated 27:15	262:22	adequacy 120:3	age 15:8 227:16	alerted 223:18
accept 194:2	action 24:3 54:3	adequate 40:8	235:2,5	Alexandria 4:14
216:15 222:7	72:18 103:20	45:20 82:18 90:5	agencies 9:13 19:8	226:11,15
254:3 261:19	200:13 211:7	98:22 142:9 219:4	46:10 50:6 54:6	allergy 177:22
acceptable 83:9	219:15 267:22	adequately 106:6	56:8 58:11 61:3	Alliance 11:5
234:17	actions 44:13 56:5	118:9 119:8	61:16 102:21	193:11 221:5
acceptance 114:8	57:3 71:16 110:12	adhere 158:20	110:1,14 137:2	260:10
accepted 45:13,16	110:16 118:5	adjacent 34:9	187:7 196:11	allow 39:9 47:13
169:19	144:10 157:9	Adjourn 4:24	197:21 200:15,21	266:5 270:11
access 225:8	161:7 243:7	administers 124:5	214:2 216:13	allowable 90:3
accessed 129:1	activated 125:19	administration	agency 9:11 20:12	102:10
accident 10:15	active 117:7,15	83:19 109:17	57:19 58:3,9 59:8	allowance 43:4
17:21 20:8 56:20	131:14,18 132:20	232:13	59:9 84:5 105:12	allowances 41:4
57:21 58:6,12	133:22 235:10	administrative	109:13	allowed 13:2
61:14 70:16 72:7	activities 57:22	95:13 96:5	agenda 7:4 13:6	100:11 167:5
81:16 82:19 97:8	58:7 59:16 236:6	admitted 67:20	60:12 85:6 97:4	181:7 187:8 195:2
101:14 109:7	activity 17:12	adopt 86:17 130:21	97:10	230:12 256:14
131:20 167:9	actor 155:6 172:9	144:7 190:21	aggression 254:17	allowing 61:8
181:12 214:21	actual 91:11	222:7 224:13	aging 14:16,20 15:6	128:7 135:3 167:1
228:12,14 248:22	225:12	226:20 230:3	15:16 106:12	allows 156:15
accidental 124:10	ad 72:8	256:17	ago 72:18 76:16	alloy 28:15
125:3,5 154:21	add 12:13 29:6	adopted 85:20	152:9 161:12	alluded 235:9
accidents 46:17	89:16 92:6 100:6	253:5 258:16	163:21 231:2	alternate 114:12
47:14 55:19 68:19	131:22 154:7	adopting 21:4	233:12 234:16	Alyeska 67:19
86:19 87:13 103:6	added 66:12 96:6,9	217:17 220:19	246:22 261:4	Amanda 18:20
105:17 131:14	adding 131:10	adoption 85:14	agree 63:9 113:1	amazed 178:4
136:8,9,17 228:17	addition 34:19 44:6	112:20	122:14 226:2	amended 215:22
accommodate	47:16 120:21	advance 70:20	242:21 258:18,19	America 1:1
233:21	192:11 248:7	advances 49:16	agreement 109:10	210:18
	additional 18:6	advantage 101:12	137:19 252:17	American 62:17

115:8 165:11	angry 12:7	111:12 123:5	135:13	articulated 156:9
Americans 160:9	anhydrous 191:5,9	135:5 140:12,18	apprehended 61:1	asked 81:7 127:15
ammonia 191:5	248:3	140:22 141:12	approach 46:9	128:19 208:8,17
248:3	animated 221:18	142:12 143:2,8	86:18 87:19	233:12
amount 17:17 45:6	animation 20:18	149:14 151:6,13	109:13 113:16	asking 66:5 128:9
129:8 136:5	30:20	153:3 157:21	114:16 116:7	188:16 252:11
227:21 236:10	answer 17:6 63:22	158:7 159:8 161:5	117:10 132:6	asks 42:20
amounts 66:13	67:10,11 68:7	161:16 162:4,12	219:7	aspects 198:6
254:14	90:10,14 122:6	163:8,15 164:17	appropriate 43:3	aspirin 206:11
ample 103:3	answered 205:10	166:7 171:18	107:1	assault 159:18
118:10	answering 68:6	174:9 176:14	approve 7:21 171:9	assembled 24:9
Amyotte 2:2 3:19	answers 68:16	178:21 187:16	269:2	Assembly 2:21,22
31:8 97:14 111:16	108:7	189:5 190:5 193:3	approximately	83:14
111:18,19,20	Anthony 262:17	193:5 195:11	21:11 25:19 34:8	Assemblymember
115:2 185:17	Antonia 255:12	197:11 201:12	April 1:10 94:18	66:19 81:5,17
analyses 29:17	anybody 163:14	203:11 204:9	137:15 264:13	83:11,17 84:3,19
54:18	178:15 213:20	209:4 210:16	archive 225:12	141:3
analysis 20:16	anyway 251:18	211:2 212:4,8	area 19:15 69:17	Assemblywoman
35:19,20 40:13	anyways 206:5	213:3,11,21	73:10 86:19 88:21	73:12
41:9 42:12 45:17	apart 180:5,9	214:17 215:6,8	89:6,12 90:13	assert 157:19
49:5 50:1 51:8,12	API 140:8 142:7	216:2,18 220:21	126:14 127:15	assess 23:15 36:15
51:14 52:14 54:10	233:4,6	221:3,22 222:22	128:18 129:11	66:6
55:3,15,22 56:2	appalled 190:18	224:8,17 226:7,12	138:10,13,19	assessed 120:16
57:6 72:1 94:20	233:7	227:10 228:2	140:16 146:1,1	assessment 71:4
101:5 113:1	apparently 145:16	229:16 230:10,15	149:19 150:13	137:4 234:6
118:15 119:2	146:9 212:11	237:1,18 239:1	165:13,18 175:5	assessments 47:19
120:2,19,22	appeal 100:13	240:19 241:9	190:7 191:2,22	124:21,22 220:8
146:20 149:3	appealed 100:12	244:7,9 245:18	192:14 235:10,13	234:3
151:10 189:18	appealing 173:9	251:5,15,21 252:5	238:14,18 248:12	assist 129:9
194:7,15 196:13	Appeals 100:14	253:16,21 256:19	262:14	assisted 38:1
245:1	appear 8:1 167:17	260:4,7 267:2	areas 40:19 85:22	associated 34:17
analyze 42:20	appeared 22:13	268:5 269:8,16,20	86:11 112:15	132:8,11 269:5
44:10 52:22	appearing 35:3	270:14	138:6,7 220:14	association 2:4
analyzed 37:9 38:8	appears 15:10	applicable 53:1	argue 156:9	97:21 135:10,17
analyzing 50:12	167:10	85:16 87:21 148:4	argument 122:22	137:13
Anamet 1:23 18:13	appetite 203:4	applied 260:21	186:9	assumed 26:6
93:12	Applause 6:9,17,21	apply 87:17 155:14	arising 15:5 57:5	asthma 214:6
Anderson 4:14	8:16 9:4,17,21	194:14 260:19	arrangement	255:6
226:11,13,15	10:4,8 11:21 14:7	appreciate 60:9	117:20	Atchison 253:2
227:11	17:3,9 18:9,15	69:22 73:19 80:21	arrangements	atmospheric
Andre 4:6,10	19:4 29:11 42:3	123:20 135:7	205:17	145:10
171:20 201:13	51:5 60:4,18 61:5	141:2,20 151:16	arrestors 131:16	Atomic 262:16,21
Andy 4:9 197:12,13	66:10 69:7 72:16	174:13 185:11	arrived 115:17	265:16
197:15	73:18 74:9,17	230:1 240:2	arrogance 182:22	atrocious 258:4
and/or 55:1 127:14	76:13 77:12,21	247:17 258:14	arrows 35:3,6	267:18
Angeles 217:6	78:5,17,20 80:11	260:22 261:18	article 255:4	attack 197:8
218:20	80:17 85:4 108:14	appreciative	articles 115:9	attempt 43:6,14

attempted 24:22	awaited 72:11	144:12 155:4	believes 108:10	bit 93:1 112:7
attempting 102:1	aware 8:10 15:16	160:18 169:18	144:5	231:6 234:4 250:2
attending 231:14	34:17 65:2 208:9	188:11 219:22	Bell 19:11	black 26:14 147:1,4
attention 10:20	209:7 245:6 254:8	bashers 78:3	bend 65:17	160:6 220:12
69:22 107:3 136:6	Aye 269:11,13	bashing 78:4	beneath 24:9	blank 232:2
138:20 179:14	A&M 89:8	basic 30:11 157:18	beneficial 121:1	blatant 264:2
183:19 184:21		244:5	benefit 169:3	blending 238:22
207:7 218:16	B	basically 158:17	252:17	bless 204:8
237:22	B 202:22	160:18 202:10	benzene 254:10	blessing 201:18
attorney 197:16	back 5:6,8 29:7,7	248:17 249:12	Berkeley 2:9 98:8	261:1
215:13 217:3	65:17 82:8 87:10	basics 122:1	151:21 152:8	blood 175:6,7
audience 77:18	96:16 111:1 160:6	basis 129:13	231:13,15 232:7	176:15 177:19
audit 65:5 72:20	179:12 182:11	Baton 183:9	257:17	206:10
73:4 125:6 129:18	187:22 228:15	Bay 19:15 69:17	Berman 4:20 247:5	blow 149:21 150:10
130:2 134:12	236:1,3 252:11	73:10 129:11	247:6 262:11,12	211:22 223:13
198:11	267:19	140:16 149:19	262:13 266:11,12	263:11
audited 35:16	backbone 164:20	190:7 191:2,22	266:16	blue 35:3
auditorium 257:15	259:13	192:13 235:13	best 4:4 6:11 53:1	Blue-Green 11:5
audits 47:19 198:8	backed 24:14	bear 160:20	87:19 90:14	board 1:2 2:14 3:2
198:9 199:14	175:19	beautiful 192:14	103:11 105:18	3:16 4:22 5:14,16
augmented 31:10	background	Beckles 77:18	107:14 108:12	5:17,20 6:13,15
August 1:5 7:18	135:16 147:6	Becky 263:17	145:7 156:15	7:21 12:1 14:10
15:18 19:17 20:19	231:4	beer 181:9	159:4 189:3	17:15 21:1,4 30:2
21:7 22:8 26:13	backlog 68:9	beg 247:14	198:21 241:5	51:10 53:5 54:14
32:20 33:18 34:15	191:18 193:1	began 24:12 109:20	Beth 1:17 3:4 5:17	55:11 59:3 61:8
36:5 46:4 48:14	backsliding 191:14	147:14	12:3,9 63:9 88:3	61:18 64:22 67:8
61:20 75:2 83:1	backup 127:8	beginning 114:1	better 2:7 11:4 67:3	67:15,17 68:13
98:21 104:1	backyard 210:19	150:15 177:8	81:21 98:5 105:3	69:11,19 72:7,9
125:14 126:11	bad 13:18 206:4	begs 63:10	107:18 110:5	73:11 74:20,21
154:17 159:20	badly 267:8	behalf 2:20 3:14	111:6 141:10	77:9 78:8,16,22
220:16 228:13	bag 166:2	83:12 152:15	143:7 154:8 175:3	79:14 81:13 84:21
248:14	Bailey 189:9,9,10	179:5	202:2 213:14	85:6 88:1 98:13
authority 36:9 54:7	bakery 13:16	behavior 14:3	215:13 217:4	98:14 100:15
73:7 157:20	balance 65:11	beings 242:12	230:5 232:18	108:8 111:21
162:17 165:1	balancing 186:3	belie 107:21	beyond 93:2 102:9	112:5,9 115:13
168:7 170:12,15	banks 213:15	beliefs 40:19	124:15	123:13,16,22
automatic 117:16	bar 156:14	believe 16:9 23:7	big 67:10 146:8	130:17,20,22
automatically	barrel 66:13	116:10 117:2	165:2 177:13	131:5,11 135:13
55:22	165:19,21	130:19 131:1	241:20,20	135:15 151:10
available 96:7	barrels 21:17	134:10 140:2	bigger 63:4 165:5	152:1 167:7
102:20 115:5	232:22	144:2,11 146:14	biggest 264:19	171:22 181:13
121:10 153:14	barrier 120:22	150:17 153:22	bill 73:13,21 246:9	182:5 183:4 185:8
224:19	barriers 121:1	195:22 213:13	246:10	192:11 193:12
avid 178:7	base 40:18	225:13 240:7	billions 162:11	197:2,14 199:18
avoid 169:4	based 51:8 62:19	242:11,13 244:3	biologist 263:18	199:22 200:6,17
avoidable 13:22	79:21 91:8,9,11	believed 23:6	Bishop 4:10 201:13	201:6,16 208:13
avoided 256:7	127:20 129:1	148:22	201:15 203:12	214:8 215:12

216:15 217:2	bringing 78:13	83:2,13,15 84:4	219:14 220:5	34:18 94:14
222:6 226:14	79:9 87:19 193:12	98:15 99:6 100:10	226:1,6 233:5	234:11,14,16
227:2,6 230:3,19	203:21	102:15,20 104:6	Californians	235:3
233:15 247:20	brings 14:14	108:10,21 109:21	260:11	card 93:5 189:1
248:6 254:3	Britton 193:7,7,8	156:13 173:8	California's 2:17	cards 93:6
258:14 268:18	broadcast 225:12	174:14 176:20	11:16 21:12 36:7	care 70:4 172:10
269:2	broken 68:2 166:20	178:14 187:13	99:15 156:21	176:1 207:21
Board's 64:12	Brother 262:15	198:22	call 14:10 69:10	213:17 243:10,16
81:10 100:8	brothers 165:17	calculate 91:11	76:19 77:3,4	243:16,17 252:19
137:19 197:18	226:2	calculated 180:6,7	78:18 79:12 95:7	253:20
200:8	brought 70:1	248:21 249:6	97:9 98:9 115:19	career 115:16,18
bodies 39:9 46:16	101:20 173:15,16	calculations 91:6,7	116:12 142:17	careers 122:5
176:13 208:21	Brown 66:4 213:7	California 2:21 7:2	179:10 202:15	careful 118:4
body 177:11	budget 64:17 66:5	9:9,12 10:12 11:4	219:15 246:5	181:14
206:13 227:3	67:12 83:14,16,18	11:7,8,10,13	269:9	carefully 137:7,11
242:15	build 119:17	19:19 20:11 29:21	called 23:5 31:11	carry 73:13
bogus 251:18	150:21 157:13	39:8 45:1 46:8,10	38:6 62:12 78:2	carrying 73:20
boiled 22:1	183:13 213:18	46:12 48:21 49:8	90:17 132:17	181:4
book 91:6 116:6	253:19	50:5,13 52:8,9	179:4,16 183:22	case 6:1 16:18
132:5 255:13	building 6:3 129:21	53:5,6,7,8,13,20	calling 7:8 12:2	58:16 59:17 66:11
257:20	232:21	53:21,22 54:14,15	62:8 149:1	86:13 92:7 148:8
booklet 179:16	built 234:8 238:12	54:16,17 55:8,11	calls 81:18 126:14	150:9 162:22
books 115:5 179:13	bully 249:8	55:12,13,14 56:8	126:16	170:12 183:13
237:10	burden 68:12	56:14,15,17 57:6	Cal/OSHA 2:2	185:7 234:8 263:4
boosters 6:12	burning 26:16	58:1,10,17,18,21	Cambra 4:15	263:14 264:8,9
border 184:3	bus 266:18	58:22 59:4,6,6,9	230:17,18,20	269:17
born 159:22	business 10:11 14:5	59:15,18,19,22	231:12 237:2,14	cases 63:3 107:12
Boston 61:1 211:11	64:5 81:7 93:6	60:15 66:15 81:7	237:19 238:9,16	158:2 224:9
264:5	108:3 112:7	81:19 82:18 83:14	239:2	cash 172:17
bottom 64:13	122:11 153:16	83:15 84:13,22	campaign 257:18	cat 164:4 166:1
161:19 162:21	189:1 213:16,17	85:12,14 86:6,16	Campbell 4:13	cataracts 174:20
165:14	232:13	97:12 98:8,10	225:17,21,21	catastrophe 15:14
bow 120:19	businesses 165:2	100:15 106:15	226:9	catastrophic 8:12
BP 167:7	busy 95:3	112:9,14 125:4	Canada 97:16	19:19 62:19 83:21
breathe 197:16	buy 93:17 165:6	135:21 136:3,14	112:13 165:22	103:7 122:8 148:6
242:16 244:5	172:15 196:8	136:22 137:3	Canadian 184:2	149:6 168:15
breathing 26:19	buying 196:7	138:15 140:21	cancer 177:4	198:15 199:3
177:21 178:3	byproduct 254:9	151:21 152:11,21	cancers 176:17	Cats 197:15
202:21 207:3	254:11	153:18 154:11	cans 181:9	caught 88:13,19
245:10		156:20 157:1,6	capable 142:16	160:5 249:5,7
brief 143:11 152:2	C	171:7 184:4,12	157:10	causal 48:22 49:8
189:8 237:22	C 1:18	189:19 190:9,10	capita 156:21	94:20 147:21
briefly 95:4 99:6	CA 1:5 2:16	190:18 191:8	capture 227:17	cause 12:12 20:2
222:15 237:12	Cal 19:11 36:8	197:16 205:14	car 207:4	48:15 124:18
266:10	38:18 41:17 49:13	211:7 212:17,21	carbon 26:21 27:2	167:5 194:7,15
bring 191:20	58:10 62:1 63:6	213:6 214:10	27:22 30:10 31:3	196:13 254:16
219:13 266:5	65:18 82:13,22	217:8 218:9,18,21	31:3 32:12,13	caused 8:5 24:6

27:10 103:6 220:3 252:19 253:18 causes 29:14 37:1 94:21 124:18 139:19 causing 206:13 caution 131:4 cautionary 13:9 cave 174:5 CBE 11:5 144:5 161:11 190:8 191:2 204:14 215:10 248:1 253:3 CBE's 189:15 CCPS 115:7 116:6 120:5 cell 126:15 127:12 127:18 128:3 cent 66:13 center 115:7 125:20 132:3 152:7 238:14,17 central 120:7 147:21 century 80:6 ceremony 257:14 certain 91:17 certainly 110:9,12 111:5 135:20 137:10 142:15 152:12 207:16 237:2 cetera 194:13 254:10 chair 69:14 73:10 85:8 143:9 chairman 1:15 6:14 19:6 60:20 61:7 69:11 74:19 98:13 111:20 123:4,12 135:12 151:22 157:12 158:20 215:11 217:2 246:3 247:7 268:7 chairperson 3:3,6	5:3,15 6:10,18,22 8:17 9:5,18,22 10:5,9 11:22 12:5 14:8,13 17:10 18:10,16 60:5 69:8,15 74:10 80:19 85:5 87:3 87:22 88:5 94:3 97:1 111:13 123:6 135:6 139:3 141:13 143:3 151:15 158:8 166:8 242:10 245:20 247:9,13 268:8,15 269:15 269:21 challenges 87:18 168:19 change 10:11,14,21 44:12 56:1 91:16 91:17,21 118:11 118:19 128:15 149:6 167:14 171:13 174:3 175:13 187:1 233:21 239:3 244:1 changes 36:19,20 36:20 48:8 72:15 85:11 124:20 127:9 129:3 137:22 138:7 173:3,4,11 227:4 230:12 changing 104:21 148:11 195:16 characterized 155:8 characterizing 153:8 charge 19:2 215:3 chart 144:16,18 147:7 cheaper 149:1 180:10 266:8 check 22:11 65:11 148:18 151:3	checklist 42:17 checklists 120:22 check-the-box 43:22 Chekal-Bain 2:20 3:14 81:3,3,4 chemical 1:1 5:14 5:15,20 6:13 17:14 33:3 36:1 36:16 54:6 56:19 58:12 61:18 66:7 67:8 69:19 74:20 77:9 78:16,21 81:10,13 84:6,7 84:16,20 97:14 98:13 100:8 108:8 111:16 112:5 115:7,8 116:6 121:21 122:12,16 123:16 130:17,22 131:4,11 132:3,4 132:9 137:19 151:9,11 159:18 167:7 178:17 181:2 191:6,10 192:10 197:2,18 199:18 200:5,7,16 201:5 226:13 227:2 230:3 233:15 248:6 262:16,21 265:16 chemicals 36:2 84:1 133:12 168:17 174:19 177:10 248:12 chest 203:3 Chevron 1:4 7:18 8:7 12:16 13:8,13 14:17 15:16 19:2 19:10,18 20:6,10 20:19 21:7,10 22:20 24:1,22 27:12,20 28:3 29:1 30:13 31:18 33:7 34:6,15,19 36:3,5,6 37:7 38:13 40:13,16,21	41:7 43:6,12,13 44:1 46:1,3 48:14 48:17,21 49:1 51:15 52:3,4,6,6 53:18,18 62:2,3 62:11,15,22 63:4 63:12 64:9 65:11 65:17 67:13 70:9 72:6,20 73:8 75:11,16 76:19 77:20 78:2,2,3 79:21 80:8 81:15 82:1 83:3 90:4,17 93:19 95:5 96:11 96:15 100:3,12 102:6,16 103:2 104:3,15 105:5 106:14 107:7 108:7,21 117:2 137:16,21 140:14 142:17 144:21 145:10 154:3,10 158:16 159:17 162:15 163:10,22 164:12 166:19 167:11,22 168:4 172:9 173:9 175:11,19 182:13 190:2 191:5 193:18 194:12 195:2,4,19,22 196:6,15 197:4,5 207:20 209:1 210:14,18 212:10 213:14,15 220:1,4 228:14 229:1,7 230:21,22 231:15 232:14,18,19 233:18 235:15 236:6 239:21 241:15,22 243:1 243:10 251:19 252:2,8,17 253:2 253:18 254:7 255:10,15,18 256:1,4,14 257:16 267:17 269:3	Chevrons 211:19 Chevron's 12:21 23:9 27:11 35:18 36:22 42:22 50:14 50:15,17,19 62:6 64:9,14 94:17 95:12 96:21 99:16 101:1,11,19 102:2 103:12,16 144:14 144:22 145:19 147:18 154:5 155:3,17 193:20 197:9 208:22 210:7 227:15 237:6 243:8 Chevron-backed 76:21 Chevron-influen... 76:17,20 Chevy 251:12 chief 97:12,16 98:10 123:10 156:13 212:18 232:1 chiefly 98:21 child 254:12 children 214:5 242:16 254:8,13 254:15 256:12,13 Children's 256:15 China 213:8 Cho 174:10 choice 148:12 choices 9:8 cholesterol 176:16 chose 197:6 243:19 chosen 154:3 chronic 203:5 circuit 31:18 32:16 34:7 35:2 37:17 38:3 39:5 264:16 circuits 31:17 32:2 32:8,12 52:16 circumstances 74:4 citable 169:7 citations 99:19 100:6,12 173:8
--	---	--	---	--

cite 263:14	255:20 256:8	collapse 231:17,21	commission 20:6	103:18 106:21
cited 40:21 101:21	cleaned 21:21	collapsed 231:18	157:2	107:16 109:8,14
cities 210:18	cleanup 249:16	232:8	commissioning	110:21 111:10
citizens 240:17,18	clear 26:13 68:14	colleague 14:10	236:14	121:19 125:16
252:15	87:5 108:2 117:4	217:11	commitment 98:18	126:19,21 127:10
city 11:8 19:13	119:13 131:6	colleagues 181:21	99:4 106:14 107:7	128:8,22 129:20
20:10 27:11 36:8	183:14 200:12	218:12	138:5 171:4	133:13 136:7
42:6,10 43:16	228:5	Columbus 149:18	committee 72:8,22	139:21 141:10
44:2,21 49:21	clearly 100:21	com 224:22	116:4 129:19	142:10 143:13
53:4,5 54:13,14	119:7 160:1	combination	247:22 263:20	149:10 152:14
55:10,11 59:5,5	223:21	120:18 145:4	committees 176:5	155:13,21 156:2
73:2 74:14,16	climate 149:6	combines 182:21	187:20,21 188:6	160:4,8 164:21
75:9 76:18,22	climbed 24:18	combustible 22:18	common 15:11	172:1,2,4,10,13
77:16,17 78:13	clinics 176:21	come 5:11 36:18	20:3	172:15,16,18
79:11,16,17,17,18	Clinton 160:15	70:5 124:2 134:14	commonly 117:8	173:1,5,18 174:15
79:18 80:6,6	close 23:1 109:10	151:1 160:12	communicate	174:17 175:9,22
123:22 124:6	148:12 149:2	162:11 164:4	136:1	176:2,19 177:10
129:22 130:9,21	157:16 164:21	178:19 182:5,22	communicated	178:12,16 179:7
140:3 160:17	220:13 240:12	196:20 200:15,21	126:4	188:6 190:15
164:19 167:7	253:2	201:1 205:10	communication	191:2 193:13,17
195:1,15,17 196:1	closed 163:1	221:13 238:5	207:19	195:8 196:19
196:5,8 204:7	closely 136:22	260:16,17 265:3	communications	197:20 201:17
226:16 227:1,5,22	150:15 262:17	comes 70:6 76:6	97:20 270:9	204:3,5 205:5
City's 238:11	closer 33:19	165:2 185:6	communities 2:7	216:13 217:7,10
Civil 239:17	closing 4:23 269:22	261:11 267:18	9:3 10:3 76:10	217:13,16 218:17
civilization 238:13	cloud 24:15 25:8,12	coming 69:19 74:4	98:4,19 103:5	219:17 220:18
claim 54:20	25:16,20 26:11	74:21 116:13	110:18 136:4	221:14 226:3
claimed 149:20	61:21 88:14,20	139:12 151:1	143:6,22 150:1,7	228:18 229:1,10
clamp 23:22 102:1	174:22 175:8	165:22 171:22	150:13,21 154:7	239:4,21 241:18
clamps 50:16 63:2	176:8 177:5	176:11 217:5	159:12 165:8,12	242:2 243:2,9,16
63:4,5,5 91:22	241:20	219:21 228:8	166:5 171:3 174:5	248:19,20 250:15
102:9 106:13	Clyde 19:12	245:15 261:18	187:10 190:22	250:22 252:10,17
173:7 218:3	Coal 185:7	commend 66:18	191:11 215:13	252:18 257:13
261:15 262:1	coalition 159:11	199:17,21 233:16	217:4 218:22	259:7 260:11
267:20	179:6 211:7	234:1,2	220:11 230:5	267:20
clarify 69:14	247:21	comment 4:2 95:17	248:16 250:18	community's 205:3
clarity 110:13	coal-fired 157:4	109:10 112:17,19	268:2	compaction 233:3
Clark 4:5 159:6,7,9	coats 242:1	158:17 198:5	community 10:16	companies 8:18 9:7
159:10 161:6,17	Code 171:8 205:15	225:5,15 238:15	10:19 11:4 16:20	9:19 32:6 42:17
162:5,13 163:9,16	coincidence 258:6	246:13 266:15	17:7,7 20:1 28:20	44:7,9 79:5 83:8
164:18 240:10	collaborate 200:16	commenter 159:6	47:2,12 48:11	116:8 135:18
241:11	collaborated 11:1	commenters 4:4	61:11,22 65:13	136:13 156:16
class 160:19	collaboration	158:20	68:8,15,20 73:1	163:5,9 164:11
classic 120:5	98:15 111:6 200:9	comments 118:13	75:3,8,11,17	165:3 211:19
classifications 43:2	200:18 201:4	152:18 158:11	76:12,15 77:3,3	213:13 214:15
classifying 146:16	collaborative	166:16 188:17	77:14,16 78:4,19	company 8:10
clean 197:15 244:5	109:12	189:8 192:5	79:10,12 84:21	18:13 42:13,18,20

45:6,19 47:18 53:15 65:14 115:11 162:10 206:20 213:15 244:3 264:13,19 266:5 company's 162:20 264:16 compare 184:14 compared 31:4 132:19 156:22 competency 95:14 competent 81:19 155:19 competitiveness 158:3 complaint 264:3 complete 7:10 11:2 86:10 completed 53:13 57:12,14 127:4 167:15 completely 13:21 146:11 265:1 completing 146:19 151:10 completion 54:3 complexity 104:20 compliance 65:17 99:3 104:8 complicated 90:7 complication 94:10 complications 94:9 complied 43:12 comply 100:22 169:18 233:3,6 component 33:2,6 33:8,13,20 34:2,8 34:9 35:12 96:1 167:21 components 31:19 31:22 32:2,15,17 33:1 62:14 comprehensive 65:5 69:21 82:12 150:5 153:1 156:3 comprised 31:19	compromised 119:9 236:14 concentration 190:17 concept 122:3 132:6,17 concepts 31:12 43:19 95:9 113:20 119:22 concern 14:15 65:9 108:19 112:1 130:18 150:9 154:14 162:20 167:17 174:15 228:11 concerned 12:7 101:17,20 108:18 191:15 213:7 219:11 229:5 254:6 concerning 248:3 248:10 concerns 13:10 89:5 109:2 220:18 concert 156:5 conclude 121:12 236:16 concluded 28:16 88:13 270:16 concludes 41:21 51:1 60:2 83:7 conclusion 70:15 conclusions 40:18 54:20 57:3 103:14 113:2 138:8 160:13 condenses 22:2 condition 180:19 conditions 102:17 109:1 132:9 176:18 203:2 257:22 258:3 262:5 268:1 conduct 51:19 58:9 100:3 268:12 conducted 15:1 52:15 72:1,21	73:4 74:6 137:4 236:3 conference 81:14 115:10 conferences 8:4 confess 95:1 confidential 121:15 confirm 45:19 53:9 Congressman 2:17 6:7,11 60:15,16 69:9 82:6 108:5 141:3 connect 64:2 connected 32:3 234:9 Connecticut 263:21 connection 16:19 234:10,12 connects 34:3 ConocoPhillips 219:20 consequence 103:16 consequences 13:22 37:2 52:19 83:21 103:7,20 168:15 conservative 43:2 consider 42:14 85:11 110:8,11 124:19 137:11 144:9 146:16,19 151:10 163:18 164:10 218:14 250:21 considerable 34:20 121:4 consideration 137:14 192:9 235:6 238:11 considerations 64:18 67:12,16 considered 11:16 42:12 67:18 85:13 131:8 133:4 134:16 137:7	148:5 163:11 192:11 considering 36:19 107:1 134:4 192:20 220:18 considers 131:5 215:20 consistent 220:12 consistently 40:10 consists 34:1 constant 14:21 68:11 constellation 10:17 constructed 14:19 construction 30:12 31:2,15 35:8 37:21 39:6 41:15 42:9 44:7 56:2 71:13 132:21 157:4 constructions 44:6 consult 170:10 consultant 18:14 129:17 consulted 37:15 consumers 66:16 contact 11:11 174:22 175:7 178:19 contain 32:14 contained 22:18 33:9,14 34:10 113:3 137:18 containing 36:1 167:16 containment 15:4 133:17 contaminated 214:4,10 contamination 255:5 content 48:5 107:10 147:2,3 164:2 167:16 192:2 222:21 contents 3:1 4:1 235:19	contest 252:1 context 164:10 continue 16:12 77:1,4 80:5 89:12 91:13 114:18 142:3 173:5 259:10,21 continued 4:1 24:8 26:16 45:14 154:9 256:6 continues 137:21 continuous 105:18 153:14 Contra 2:3,14 6:15 10:13 11:9 19:13 20:10 21:12 36:10 41:18 42:5,16 43:16 44:2,22 49:10,20 53:6 54:15 55:12 59:4 69:11 71:3,7,18 72:7,19 97:18 123:9 124:4,5 125:10 129:22 133:6 144:1 208:4 227:5,22 contract 127:7 contracted 126:22 contracting 129:16 contractor 101:19 103:17 contrast 83:4 contributed 48:14 49:9 contributing 59:12 control 38:10 40:2 45:7 52:20 54:21 72:4 91:21 165:16 181:17 215:1 259:15 266:19 controlled 149:21 controlling 182:2 controls 31:11 55:16 79:3 117:9 118:1 121:3 132:20 144:13 148:1 181:22
--	--	---	--	--

214:20	101:13 102:18	cough 206:12	coverage 218:19	crumbs 214:1
conversation 202:3	192:17 194:9,10	coughs 203:5	covered 44:3 85:22	CSB 3:5,8 12:10
convert 238:21	corrodes 27:8	Council 53:4 54:13	86:22 125:7 130:8	24:5 26:20 27:9
convey 152:17	corroding 64:20	55:10 59:5 76:18	131:3	28:10,15,22 50:10
convincing 152:21	corrosion 8:11,14	76:22 77:16 78:14	covers 36:1 114:12	62:1 68:10 82:8
convincingly	15:7,22 20:3	79:11 130:21	124:13	83:7,10 106:21
153:20	22:22 27:2,4,10	227:5,22	cracking 38:4	113:12 114:11
cooling 231:16	28:1 30:8,10,20	Councilmember	51:22	139:12 158:12,14
232:8	32:5,12 33:16	77:17	cracks 64:8 68:1	174:13 176:20
cooperation 19:8	34:21 37:12,14	counsel 1:18 5:20	create 39:13 80:1	178:14 207:22
coordinate 46:19	38:2,4 41:2,4,11	268:11	created 59:14	256:17 268:12
coordinated 109:12	43:3 48:8,16 49:5	counter 196:16	creating 79:17 80:3	270:8
110:5,11	51:18,21 62:15	counting 202:11	creator 204:22	CSB's 105:22
coordinating 58:5	70:16 92:13 95:16	countries 86:14	credit 93:5 190:4	107:20 109:11,19
59:16 158:14	101:6 114:14	country 15:9 71:6	criminal 212:3,6,16	112:17 150:18
coordination 57:20	117:18 133:1	82:9 150:6 167:3	224:6 250:17,19	CSB.gov 29:1
copies 7:7	144:20 145:5,11	188:5 189:20	criminally 212:2	224:20,21 225:3,9
copy 7:4 94:16	145:19 147:9,14	211:17,20 219:1	212:17	CSHIB 1:14
cords 178:6	153:10,21 166:21	222:11 265:17	criminals 215:4	Cuelo 4:14 228:6,7
core 120:7 153:15	167:18 192:4	county 2:3 11:9	250:17	Culeo 174:11
cornerstone 63:14	198:8,11,13	19:13 20:11 21:13	criteria 255:20	cultural 154:15
corporate 8:15	199:13 200:2	36:10 41:18 42:5	critical 8:8 15:15	culture 15:11 63:14
13:5 68:7 70:17	216:5,5 223:2	42:10,16 43:16	16:9 96:13 111:2	67:14,20 70:18
96:11,15 99:14	corrosion-resistant	44:2,22 49:11,21	119:5 172:2	72:20 107:17
108:1 165:16	28:15 42:21 43:8	53:6 54:15 55:12	212:16 218:10	108:10 124:21
174:6 211:18	corrosive 102:21	59:4 61:16,22	cross 30:21 34:4,12	130:3 168:5,8
219:12 224:2	145:5	65:3 71:4,19	crowds 267:12	186:11,18 198:4,5
248:17 250:14,17	corrupting 172:14	72:19 97:18 123:9	crude 8:8 14:18	198:17 199:1
corporation 64:2	cost 66:12 186:1,1	124:4,5 125:13	19:20 20:6 21:17	cumulative 46:15
96:20 190:2	186:2,6,7 203:22	127:19 128:4	21:20,21 22:1,8	cure 116:17
224:12 227:15	204:1	129:15 130:10	23:19 25:6 28:2	cured 67:21
256:1	Costa 2:3,14 6:15	134:2 140:3 144:1	28:16 37:8 40:20	curiosity 108:5
corporations	10:13 11:9 19:13	159:11 164:20	51:17 66:14 75:14	curious 90:2 94:18
227:16 240:21	20:10 21:12 36:10	196:1 202:7 208:5	101:6 102:22	current 49:19 68:2
248:15 258:1	41:18 42:5,16	217:6 227:6 228:1	107:2,9 144:20	72:19 73:15
correct 180:18	43:16 44:2,22	247:20	147:4,5,11,13	100:11 140:6
205:8 225:13	49:10,21 53:6	County's 125:3	148:11 150:22	170:4
228:12	54:15 55:12 59:4	126:5,20 130:20	165:21 166:4	currently 42:10
corrected 139:20	69:11 71:3,8,18	couple 15:10 88:10	167:19 175:1	44:9 47:5 50:4
correction 102:12	72:7,19 97:18	89:19 93:7 148:14	191:21 192:3	65:12 136:21
corrective 44:13	123:9 124:4,5	192:6	195:6,9 216:4	142:8 149:7
56:5 57:3 71:16	125:10 129:22	course 102:4 114:1	219:5,13 222:20	168:12 207:22
correctly 210:11	133:6 144:1 208:4	194:21,21 264:18	233:1 235:19	curse 261:2
corrode 30:22	227:6,22	court 251:17 257:5	236:20,20 237:17	customized 128:7
181:8	costs 253:9 259:6	264:13,15	237:20 261:14	cut 33:22 145:13
corroded 8:6 62:3	cost-benefit 244:22	cover 84:8 85:22	crudes 149:2	147:10
62:9 82:4 101:7	couch 245:4	121:2	167:15 218:15	Cutchen 1:21 3:11

18:12 29:22 51:3 51:6 cutting 191:16 cycle 38:21 51:14 52:14 cyclohexane 114:3	76:5 179:20 206:2 206:6 207:8,10 216:11 227:16 232:21 233:1 246:2 259:18 266:3 days 26:17 188:2 204:5 206:3,4 265:22 DC 260:17 dead 26:6 241:3 deadly 191:10 deaf 16:4 deal 182:4 191:17 193:1 196:14 209:16,18,19 264:9,11 dealing 119:5 193:18 death 100:1 103:18 164:8 deaths 142:2 decade 67:19 102:16 decades 48:4 75:13 211:13 241:12,12 decide 45:9 decided 16:5 23:17 28:6 195:5 232:11 decides 83:15 deciding 70:20 decision 25:5 64:16 107:6,11,15 201:2 decisionmaking 12:22 13:6 70:17 70:19 89:22 108:1 108:17 243:13 decisions 8:15 15:17 16:19 90:21 107:12 108:1,4 170:16 deckhand 257:12 declare 112:10 decrease 131:22 decreased 113:17 decreasing 117:13 dedicated 9:9	deemed 24:3 deep 139:16 263:21 deeper 62:2 154:15 deeply 143:21 defective 63:7 defer 90:12 deferred 199:12 deficiencies 137:6 define 168:22 defines 132:5 definitely 89:6,13 definition 131:6 definitive 67:8 degree 99:21 100:2 degrees 22:17 delay 16:6 57:13 deliverables 200:19 demand 68:11 111:7 239:3 demanding 10:21 demands 195:8 democracy 263:6,7 263:8 265:11 demonstrate 117:3 145:3 demonstrated 100:19 demonstrates 106:13 148:2 demonstrating 30:21 153:20 demonstration 185:15 denied 96:14 164:2 245:7 Dennis 116:1 119:4 dense 25:16 26:14 Denver 87:10 department 58:1 59:15 65:3 71:8 73:2 83:16 97:14 111:16 178:1 270:10 departments 240:16 Department's 125:22	depending 31:1 depicting 21:7 depiction 120:6 depicts 147:8 deploy 18:1,5 deployed 18:19 depth 139:19 derive 90:4 derived 90:4 147:5 DeSaulnier 66:19 141:4 describe 29:15,19 90:16 described 26:8 59:11 132:18 169:18 describes 122:15 describing 20:8 deserve 187:13 190:3 design 20:14 31:16 44:9 45:20 79:7 86:1 87:8 112:19 113:9,13,21 114:17 115:5,20 116:21 119:16 120:7 121:6 122:21 123:2 132:17 133:14 designated 58:2 126:14 designates 36:9 designer 119:12 designs 44:10 106:3 131:17 132:2 desperately 104:18 191:17 despite 43:8 48:22 49:16 101:21 154:4 182:18 destroying 165:10 215:5 258:2 detail 29:14 details 92:21 94:13 detect 106:6 determinations	40:11 determine 40:4,6 41:9 45:6 91:8 120:3 124:17 129:7 determined 26:21 determining 40:15 126:6 129:9 detox 209:11 detoxification 209:15 devastate 148:13 devastating 75:3 develop 62:18 138:17 153:19 156:5 168:18 169:14 259:13 developed 62:17 87:10,11 developing 44:13 127:2 130:11 176:17 development 38:14 56:5 254:12 device 91:22 devices 113:18 117:14,16 118:5 131:10 devils 92:20 diagnosed 254:20 diameter 93:15 Diane 189:9,9,10 dice 248:19 249:4 250:15 die 177:3 203:19 died 262:6 diesel 21:16 22:4 22:19 difference 93:21 differences 94:19 different 22:4 110:13 126:3 133:21 134:5,18 134:22 171:5 180:1 191:3 202:8 202:9,13 239:22 difficult 145:7
--	---	---	--	--

146:10 252:12 diligence 61:12 69:4 diligent 197:19 dime 93:4 dioxin 174:18 178:17 diplomatically 245:5 direct 61:21 113:10 125:17 128:16 129:7 199:14 200:6 267:22 direction 200:14 directions 128:11 232:10 directly 24:9 33:7 158:11 director 1:18 98:6 151:19 158:13 159:10 dirty 165:21 disabilities 254:16 disagreement 186:16 disappear 147:6 disappointed 95:12 disaster 84:17 discarded 63:21 discharged 232:19 disclosed 144:19 disclosure 47:8 58:14 discontinued 255:1 discovered 149:18 168:3 discuss 29:16 42:2 discussed 13:7 23:15 44:15 236:18 discussing 112:3 discussion 3:18 68:22 113:8 121:8 151:5 258:10 265:15 discussions 184:18 dismiss 13:2	displayed 21:9 disproportion 185:22 186:4 disproportionate 120:14 160:20 disproportionately 143:20 161:3 dissipate 255:2 distance 186:6 distillate 237:20 distillation 21:22 22:5,12 23:3 25:10 distilled 147:12 distinguished 226:14 distributed 177:9 distributing 174:18 district 2:19,22 19:16 69:17 73:11 98:3 129:12 141:16 254:4,18 districts 200:10 263:3 disturbing 102:13 102:15 diverse 52:11 divine 105:5 Division 136:22 Divisions 59:7 dizziness 203:4 doctor 12:2 14:9 94:6 111:17,19 151:18,22 158:9 158:13,18 159:6,6 159:9 177:2,16 206:9 209:15 268:9 269:10,14 doctors 175:17,19 177:14 202:7,9,13 208:18 209:7,10 document 8:2 38:15 72:3 182:8 documentation 54:18 119:2 202:2 202:4 218:4 documented 20:15	41:7 52:12 55:14 58:19 119:8 254:18 documents 82:2 115:11 145:19 255:13 dog 166:6 doing 10:6 65:4 139:12 153:7 157:19 158:1 200:20 210:19 212:1 214:6,11 229:7,11,12,13,14 dollar 224:11 237:5 264:14 dollars 80:14 100:9 162:9,11 165:5,19 165:21 196:7 214:2 224:2 237:7 237:9 252:10 Donald 17:18 door 219:18,18 Dorothy 4:8 178:22 179:2 dot 224:22 doubling 192:2 doubt 237:3 doubts 233:19 download 225:2 Dr 111:20 115:2 151:21,22 153:4 157:22 158:19 159:3,9 161:6,17 162:5,13 163:9,16 164:18 166:10 171:19 174:10 178:22 185:17 188:14,18,21 189:4,6,13 193:6 197:12 201:10,13 204:10 210:22 211:3 215:9 216:19 220:22 224:18 225:6,16 225:19 226:8 228:3 229:17 230:16 237:12	239:6,12,15 244:10 245:19 246:3,14 247:11 250:8,10 251:3,6 252:21 253:22 256:20 257:4,7 260:5 262:10 266:10,14 267:3 268:6 draft 7:13 81:18 144:3 draining 202:20 dramatic 147:16 drastic 93:20 draw 218:16 drew 103:15 drifted 26:15 dripping 22:13 drive 46:16 55:5,19 148:6 248:17 251:14,18 266:18 driven 64:17 driver 67:12 driving 47:9 105:17 207:3 drop 206:12 duck 150:20,22 due 15:6 22:22 30:8 35:13 66:17 dug 139:16 dying 229:4	192:17 235:13,17 236:2 248:11 earthquakes 192:13 easily 119:14 echo 261:4 Ecodyne 232:8 economic 155:6 186:9 259:5 economics 232:3 232:14,15 economy 148:13 edge 148:19 Edition 132:5 Eduardo 4:17 246:11 251:7 educate 122:20 education 257:18 educator 113:5 Edwards 185:7 effect 10:14 27:1 234:13 effective 8:15 9:6 40:16 41:2 53:9 54:21 58:13 65:8 65:10 84:22 86:3 86:17,18 87:9 101:5 104:19 105:11 110:5,15 117:10 138:21 153:6 156:12 158:3 169:14 effectively 40:2 46:7,20 86:15 87:14 105:13 119:15 187:11 effectiveness 39:11 41:5 49:19 50:14 117:13 effects 17:2 254:7 efficiency 158:2 efficiently 46:20 effort 60:10 61:18 89:12 120:13 efforts 45:14 113:7 120:12 eight 20:7 93:15
---	--	---	---	---

231:1 233:12 234:11,15 254:4 either 33:3 35:1 116:22 176:21 187:8 194:2 EKG 207:12 El 64:10 220:2 231:19,20 232:2 elbow 33:8,9 34:2,9 34:11 elbows 31:20 32:9 32:13 elected 2:12 3:12 20:22 60:13 80:21 173:2 224:3 elections 80:13,16 263:7 electricity 156:22 element 27:7 35:21 108:9 168:19 elementary 70:9 elements 156:3,4 171:15 elephant 259:3 elevated 177:19 Eleventh 2:19 eliminate 38:10 79:3 106:2 eliminated 79:6 113:16 170:2 eliminates 132:11 eliminating 132:7 elimination 132:13 Ellen 2:2 3:18 97:11 98:9 Elliot 4:21 267:3,5 eloquently 242:11 email 128:15 emails 127:14 embarking 157:10 embraced 233:18 emerge 68:21 emergency 6:1 25:6 47:10,13 50:17 89:10 102:3 110:6 126:12,13 127:1,3 129:2	152:14 177:18 199:6,8 205:12 206:2 207:10 247:21 Emile 187:4 emissions 254:7 emitted 174:19 emphasis 198:2,3 232:13 emphasize 49:10 104:2 206:17 222:14 employ 40:14 employed 207:6 210:2,3 employee 170:8 230:21 employees 13:3 19:10,21 34:19,22 37:11 49:1 82:4 96:14 103:17 136:4 142:2 241:2 employer 169:14 employers 169:17 empower 110:15 174:4 empowered 108:11 198:19 199:9 empowerment 47:21 223:16 260:11 enact 84:15 encompassing 44:19 encourage 9:7 171:12 201:5,7 encouraged 95:5 95:10 156:8 encouraging 74:2 encumbered 94:13 endangered 19:22 28:20 154:22 256:10 endeavor 69:2 ended 29:10 150:2 endorse 248:5 endorsed 233:18	238:3 ends 82:20 energy 11:19 143:17 157:2 160:3 215:2,3 239:2 energy-efficient 153:13 enforce 187:9 250:16 enforceable 36:7 169:13 250:19 enforced 35:16 41:17 140:4 170:9 196:2 enforcement 50:5 56:7 104:19 110:10,12,16 187:1 224:1 enforcing 184:4 187:8 engage 52:10 152:9 155:12 engaged 10:17 engagement 156:2 engine 25:22 engineer 84:6 112:12 134:20,21 engineered 113:18 117:7,13,15,22 118:2 engineering 97:15 111:17 121:22 122:16 125:2 143:16 154:13 169:20 189:18 231:13,14 232:1 232:12 engineers 23:13 112:9 115:9 122:20 125:1,6 134:19 197:5 England 185:8 engulfed 26:1 160:6 engulfing 25:13 enhanced 27:12	50:7 56:10 84:14 Ennis 258:8 ensure 9:15 38:7,9 39:10,22 46:5 51:20 52:19 73:3 84:13,22 99:1 104:3,8 110:2,16 136:19 169:20 198:13 208:1 219:2 227:20 ensuring 70:4 86:2 87:8 157:16 entered 95:21 121:10 entering 21:22 entire 74:20 87:20 92:13 160:7 entity 72:22 168:10 entrance 7:3 environment 2:8 11:5 98:5 136:5 140:7 143:7 154:8 168:9 215:14 217:5 230:6 258:3 259:8 268:3 environmental 20:12 58:8 59:8,9 97:17 109:14 123:10 142:19 143:16 152:7,10 160:11,13,14,14 160:16,21 164:11 208:11 environmentalist 257:10 267:15 environs 249:2 envision 222:2 EPA 11:8 19:15 47:10 58:10 124:10 183:8 240:15 epidemiological 214:12 equally 107:5 108:18 122:21 equipment 38:5 52:16 70:22	132:22 133:14,15 146:6 169:11 equitable 79:18 Eraso 5:15 157:13 ergonomics 184:19 ergonomist 179:11 erosion 15:7 erupts 235:12 escape 25:15 26:6 escaped 61:21 especially 6:4,6 10:19 11:9 19:11 27:8 71:9 88:8 119:5 124:2 134:15 200:9 Espinoza 2:6 3:21 98:1 141:16,18,19 142:13 143:4 248:9 essential 111:9 186:20 255:9 essentially 197:3 establish 56:15,22 57:15 established 21:14 36:14 54:22 73:3 152:8 establishes 38:15 establishing 55:17 58:3 establishment 59:21 et 194:12 254:10 evaluate 208:2 evaluated 41:6 54:9 202:17 evaluating 67:3 207:22 evaluation 29:18 49:18 54:11 122:2 184:11 Evans 1:22 3:10 18:12 29:19 42:1 42:4 90:15 92:11 93:10 evening 5:12 6:7 7:12 12:6 20:18
--	---	--	---	---

29:13 31:9 34:13 51:2 81:8 92:1 112:4 116:10 125:14,17 126:18 139:2 140:2 152:3 152:18 155:8 166:13 171:21 193:9 197:14 201:16 204:12 215:11 217:1,18 220:20 221:4 222:14 229:19 247:18 260:8 event 120:18 127:14 167:2 events 15:4 39:18 154:20 167:5,9 eventually 12:19 26:9 62:4 everybody 7:5 159:5 221:21 225:18 229:20 253:19 270:4 everyone's 148:13 evidence 144:14 146:21 148:2 149:5 152:21 153:5 155:5 172:8 evolve 259:13 exact 24:19 exactly 183:10 195:6 examination 16:15 118:4 examine 17:5 94:5 examined 28:3 243:14 examining 83:19 example 31:13,21 82:22 119:16 138:4 146:4 156:20 191:20 194:16 examples 118:18 168:6 188:4 exceed 114:16 excellence 63:13	142:19 excellent 119:19 189:17 197:1 221:17 222:8 234:7 excuse 81:22 185:12 224:11 227:18 Executive 15:2 38:13 159:10 160:15 164:13 executives 212:7,11 exercise 43:22 exhaustively 138:16 exist 40:1 existed 257:22 existence 102:22 existing 37:3 49:16 114:17 203:2 exists 237:4 exit 22:5 exits 5:22 expanded 25:9 116:12 expands 124:8 expect 155:17 expected 17:2 126:17 173:10 expenditures 171:9 expensive 249:10 experience 75:3 131:6 143:15 184:2 experienced 19:19 33:17 82:11 154:19 159:19 experiences 40:18 159:19 expertise 34:21 37:14 40:19 64:3 69:5 143:14 155:12 experts 12:16 21:3 27:20 31:7 36:12 47:18 111:18 193:19 223:21	249:2 explained 120:9 226:4 explicitly 149:10 exploiting 258:2 explosion 17:21 68:12 84:11 99:11 114:3 117:14 181:1 211:12 242:3 explosions 84:10 142:3 205:21 255:11 262:3 265:22 explosive 83:22 168:17 exposed 17:1 27:5 208:3 express 61:10 expression 61:1 111:22 extended 119:17 135:14 extensive 16:14 113:10 extensively 255:18 256:3,4 extent 53:3 55:17 123:2 extraordinarily 136:2 extraordinary 136:5 extreme 34:5 extremely 30:8 33:14 48:19 145:7 146:10 ExxonMobil 183:9 219:19 eye 202:20 eyes 169:7 175:3	46:13 50:8 56:11 65:21 66:3,7,9 84:7,9,17 125:7 130:7 131:2,13 134:3,15,16 136:15 154:10 171:3 205:16 208:4 213:10 220:2 facility 6:6 10:7 21:13 70:7 72:5 119:8 124:13,14 130:14 205:19,21 206:2 facing 109:4 152:11 192:12 fact 75:13 102:16 122:15 142:17 149:6 161:1 162:8 167:12 181:13 196:15 208:13 212:18 214:18 218:16 259:4,8 261:4 factor 147:21 250:1 261:11 factors 48:13,22 49:9 118:21 124:15 130:5 facts 39:18 204:6 factual 153:18 Fahrenheit 22:17 fail 27:16 48:20 235:21 failed 8:7 30:13 33:7,13,18,20 34:2 35:13 48:17 62:11,15 92:8 102:7 145:2 147:10 223:4 240:17,18 failing 82:1 140:9 failure 8:12 15:11 15:18 23:2 27:1 27:10 38:3 52:19 64:8 67:13 99:14 100:22 101:11,21	103:10 145:21 154:9 173:4 224:13 failures 15:5 62:20 68:1 82:2 96:5 140:20 faith 177:14 fall 16:4 148:19 167:12 217:14 falling 181:20 falls 180:5,9 familiar 36:12 114:8 191:6 familiarize 205:17 family 219:18 fantastic 240:2 far 26:12 66:15 82:8 126:17 185:5 258:9 farm 235:16,21 far-reaching 152:4 fast 180:10 269:22 faster 32:18 147:15 fastest 30:10 fatalities 26:10 99:10 122:10 fatigue 15:7 203:4 266:22 fault 109:5,6 120:18 235:11,12 favor 269:18 fear 70:12 108:20 196:2 feasible 53:3 55:17 79:4 features 119:6 fed 66:14 federal 9:13 38:18 54:5 57:19 72:9 83:5 116:11 124:8 255:20 264:4,7,15 fee 66:6 feed 145:5 147:18 148:4 149:2 199:22 200:2 216:7 219:5 220:7 feel 25:17 93:20
F				
face 73:21 Facebook 128:13 facilitate 137:14 facilities 42:6 44:3				

109:5 138:20	177:2 186:21	fires 154:21 205:20	246:18 254:1,2	77:6
142:15 180:20	199:21 216:9	255:11 269:3	flare 150:5 191:13	form 120:22
201:20 206:14	224:1 259:12	first 12:2 18:3	flares 160:3	formalized 113:21
230:22 234:4	260:14	21:19 23:17 28:17	flaring 149:22	formed 25:8,20
241:8	financial 13:1	51:11 60:13 61:2	150:3 160:2	26:14 72:8
feels 245:1	find 44:19 139:19	62:5 67:17 69:18	flat 148:17 149:16	former 185:13
fees 171:10	164:4 167:8	70:5 71:11 75:10	flattened 157:2	230:21
feet 22:14 25:13	209:20 245:21	81:9 85:9,19 86:6	flawed 12:21	formerly 115:22
fell 258:11	finding 126:3	88:12 90:8 91:3	fled 26:7	116:2
fellow 5:16 217:4	145:11 150:2,12	97:9 98:9 104:12	flee 26:9	formulated 114:6
felt 70:12,13	150:14	112:16 117:4	Flixborough 114:3	forth 160:22 263:8
249:19	findings 3:8 7:11	144:10 148:15	flow 24:13 36:20	fortunate 71:3
FEMA 127:17	7:15 20:20 39:1,7	150:5 153:8,21	fluoride 191:9	Fortunately 26:8
128:6	51:1,9 57:2 99:7	159:5 166:18	focus 14:15 53:16	forum 211:9
ferryboat 257:12	100:8 119:3 144:2	168:3 181:11	85:21 86:12,20	forward 16:14
fertilizer 84:12	144:11 145:3	193:12 196:20	89:6,10,13 95:12	43:18 68:17 69:6
fewer 180:21 265:6	147:8 252:1	204:19 206:2	136:13 216:6	74:1 76:22 77:1
265:6,21	fine 162:10 237:5,8	208:5 215:16	219:4	79:9,13 84:20
field 126:3 183:17	fined 175:12	228:14 235:8	focused 95:14	107:19 108:6
232:3 236:2	229:12	241:18 245:7	96:17,20 112:16	124:2 139:17
244:15	fines 73:14,15 83:8	247:12 260:12	143:17	141:8 171:14
Fifteen 16:20	250:12,20	262:21	focuses 132:7	173:13 176:11
Fifteenth 2:22	finger 244:17	fitting 23:21	foisted 107:13	216:6 217:20
Fifth 119:13	finish 266:14	ittings 31:21 32:1	folks 189:7 216:11	224:22 258:15
fight 179:17 237:8	fire 1:4 7:17 10:20	32:10,13,19	249:11	found 12:15 13:14
fighting 190:1	24:17 25:22 26:8	five 28:9 36:14	follow 7:5 82:1	15:19 20:1 24:5
191:11 241:12	26:15 28:18 61:19	76:19 96:16	99:14 139:18	28:5 32:10 48:18
figure 14:3 121:19	75:2,14 81:16	190:16 208:14	140:9 169:14	49:16 63:6 81:17
194:12	83:2 89:9 98:21	217:12 237:9	followed 20:21	96:12 99:19
figured 113:6	99:11 100:18	247:7	117:12 131:7	130:17 198:14
file 95:18	103:4 104:1 107:2	five-inch 29:4	following 10:20	207:16
filed 264:2	117:16 127:10	fix 176:4 203:7,8	23:9 51:10 83:5	founded 63:15
filtering 255:22	129:10 145:13,22	203:18,19	102:2 103:11	four 12:10 22:16,21
final 7:22 13:6	159:20 174:20	fixed 198:14	169:3,5 232:11	27:13 28:4 29:15
16:15 17:4 50:11	195:4 202:18	243:18	follow-up 171:15	30:7,12,22 31:18
64:12 65:1 67:9	203:2 206:3,3,6	fixing 186:2,6,9	food 208:11	33:11 34:6 35:1,5
68:15 74:1 86:10	206:19 220:4,15	flag 62:7 90:17,19	force 11:13,17	35:7 37:10,12,14
94:15 107:20	221:8 238:6	91:1,6 92:2,8,22	71:19 85:14,20	37:17,18 38:3
137:13 139:17	241:20 261:5	93:2	86:7,21 105:17	39:4 41:12 43:10
146:18 151:8	267:9	flagged 235:2	109:18 110:9	48:5,9 49:2,6
171:14 173:13	fired 264:5	flagging 234:19,21	137:2 152:16	51:19 56:12 59:20
183:6 217:20	firefighter 24:1	235:5	157:20	125:1 145:1 147:9
finally 9:18 16:17	25:21	flame 131:16	forced 70:8 75:6	147:15 173:10
25:5 29:22 50:7	firefighters 23:11	flames 26:1	Ford 244:21	174:21 222:13
63:6 73:9 109:9	24:10,14,18,22	flammable 83:22	foremost 70:5	223:7 237:17,21
117:17 119:21	25:14 189:22	168:16	Forest 257:19	247:7
128:21 172:7	firefighting 24:21	Flanagan 4:18	forget 75:17,18	fourfold 104:11

Fourth 118:22	funding 66:21	214:14 229:12,12	174:16 175:12,13	66:4 213:7
fracking 210:14	84:14 85:1	241:14 263:19	176:6,12 177:3,5	governor's 85:20
fractions 22:3	further 5:21 47:17	Gioia 2:14 3:13	178:18 180:19	86:6,20 109:18
fragile 192:16	71:7 120:13	6:14 65:2 69:11	182:4,11 184:15	110:8 137:1
framework 117:8	133:13 144:16	69:13,16 72:17	185:4,11 195:8	152:16
153:2,5,19 155:6	furthermore 230:4	73:19 74:12	196:13 204:7	gracious 74:13
155:7,17 156:4	future 39:16 68:18	129:14 159:21	207:18 209:3,19	grad 185:19
224:6	77:7 81:21 85:2	give 12:8 20:22	211:22 213:14	graduate 185:13
Francisco 21:12	99:1 110:3 119:9	71:18 88:9 90:10	216:6 219:18	231:12 232:7
26:12	122:7 198:7 200:4	93:7 98:16 110:7	225:11 228:15	257:17
Frank 4:15 230:17	G	112:6 130:12	232:14 235:14,18	graduated 257:14
230:20 231:12	gained 114:7	173:20 178:1	235:19,21 236:1,6	grandson 175:7
frankly 103:6,10	gamble 13:3	188:22 207:11	236:9,10,11 237:8	graph 48:2
107:4,18 213:13	248:18	208:7 250:13	237:11 241:6	grateful 78:7 99:8
214:20 215:1	gap 201:21	257:4 270:1	242:9,10,20 244:1	99:9
freedom 108:22	gaps 137:6	given 9:14 15:8	245:6 259:20	gratitude 61:2,10
109:6 212:11,12	Garcia 4:12 216:22	104:20 120:4	264:8,16 265:3	grave 101:18
freely 109:3	217:1,3	174:15 194:4	266:21	gray 32:1 147:5
frequency 70:21	gas 22:4,18 131:13	giving 212:22	good 5:12 6:12 12:6	great 9:11 14:15
107:5	147:4,12 236:8,12	214:1 242:2	13:19,20 43:20	19:7 75:6 88:9
frequently 103:14	gasoline 21:15	glad 93:21	61:4 86:5 123:19	103:18 139:14
Frick 186:13	66:16 254:22	glass 258:11	131:20 133:1	162:1 184:4 187:7
Friday 1:10 12:8	gather 220:15	global 138:1	135:1 156:10	197:4 229:22
137:15	gathered 23:14	Glover 72:10	161:21 166:13	241:16 246:17
friend 6:12 203:14	25:14	go 5:7 148:18	168:7 169:19	259:12 261:17,20
206:7 209:14	gathering 110:19	175:15 197:3	171:21 172:9	greater 57:16
friends 225:3	gavel 268:10	206:1,7,9 207:14	185:1 193:9	104:13 154:14
frightening 241:11	Gayle 2:16 3:14	209:22 212:10	197:14 201:16	186:5,5 238:18
front 85:22 159:17	6:19 74:15	225:16 227:5,7,18	204:12 209:21	greatest 53:2 55:16
174:2 198:20	general 1:18 5:19	233:9 247:9,12	215:11 217:1	123:2
218:7 225:2	95:5 120:20	251:6,12 255:2	221:4 229:19	green 6:2
267:12	268:11	262:5	244:2 247:18	Greg 2:7 3:22 98:4
frustrated 244:16	generally 32:13	goal 45:11,14 55:18	258:22 259:2	143:5 160:2
frustration 108:5	169:19	120:16 136:8,11	260:8,14 270:12	161:10 166:3
fuel 22:3,19 164:1	generation 122:20	God 204:8	govern 170:16	191:13 261:21
fuels 21:15	232:20 256:12	goes 68:5 133:19	governing 168:13	grew 257:13
full 72:20 115:18	gentleman 240:11	178:9	government 61:3	Greywhite 4:10
121:2 157:20	gentlemen 111:21	going 12:21 17:13	106:4 107:13	204:11,12,13
225:1 235:21	193:10	29:2,7 60:16	157:9,18,19	209:5 210:17
fully 35:9 47:17	genuine 99:4	70:10,11 74:1	197:21 205:3	Griffon 1:16 3:4
116:19 157:10	155:10	75:17 76:11 77:1	227:9,13,14	5:17 14:11,12
197:1	Geologists 112:10	85:6 89:1 90:12	governments	17:4,11 67:15
fully-funded 153:1	George 2:17 3:13	90:22 115:3 121:8	138:19	88:6,7 89:17 90:9
function 157:18	6:8,11 60:15	150:20 158:16	Governor 11:16	93:8 94:15 96:22
203:16,17	getting 95:9 126:1	160:6,12 162:14	52:9 53:8,21	115:13 268:20
fund 171:6	187:11,12 197:7	163:3,6 164:18	54:17 55:14 56:15	269:1,12,13
fundamental 104:2		165:10 173:5,19	58:18,22 59:19	Grim 1:22 3:10

18:12 29:13 30:4 30:5 gross 185:22 186:4 grossly 120:13 ground 22:12 29:2 29:4 172:11 group 23:15 49:14 179:5 groups 10:22 19:8 46:18 48:12 179:7 188:6 200:7,22 growing 24:15 guarantee 65:12 guess 87:4 187:6 216:22 268:17 guesses 4:4 guessing 105:10 guidance 38:15 62:12 103:12 115:11 134:2 guidances 62:19 guidelines 83:5 guidewords 114:7 guts 224:4 guys 173:15 174:7 203:21 204:4 229:9 241:19 261:18	228:13 235:14 236:9 237:11 262:7 happened 32:20 63:19 143:1 191:7 203:9,10 205:22 206:1,20 210:7 211:10 214:22 223:11,19 258:7 264:12 happening 76:12 85:2 140:6 182:12 242:15 244:17 261:13 happens 13:9 27:7 76:8,8,9 82:17 200:15 209:9 248:15 263:9 265:4 happy 184:7 204:20 206:17 247:16 hard 66:21 110:4 139:15 241:5 254:19 hardship 228:22 harmed 136:7 256:11 harmful 14:2 harming 75:20 harmonious 168:9 havoc 75:11 Hayward 235:11 hazard 1:2 8:10 15:3 20:15 29:17 35:18,20 37:4,22 38:7,10,17,20 39:8,13,21 40:7 45:3,8,10,17 46:5 49:6,18 51:13,16 52:12,14,17 53:10 54:4,10,18 56:1 57:9 58:14,20 71:22 86:2 87:7 95:8 101:5 118:15 119:2 122:1 131:22 132:11,18	133:4 146:9 182:1 182:3 185:22 186:1,5 193:2 hazardous 23:10 51:21 97:17 102:17 109:4 123:10 124:4 125:10,11,12,14 125:20 127:21 129:10,15 130:6 133:6 145:4 149:12 205:16,18 hazards 10:2 36:16 36:18,18 37:2,4,9 38:8 39:1,20 40:2 45:7 47:12 51:18 51:20 52:21 54:21 55:18 57:5 72:4 79:3,6 99:22 100:2,4 103:3,8 105:5,9 106:2 108:13,20 109:5 109:15 110:10 111:3 113:16 118:8 132:8 170:1 181:16 182:18 186:9 187:14 198:7 219:21 248:11 264:1 hazard-specific 118:7 head 5:18 23:5 188:11 headsets 5:9 Headwaters 257:19 healed 209:6 health 11:3 13:14 14:4,5 15:2 17:2 38:13 65:3 70:5 71:8 73:2 75:8 97:17 98:7 123:10 125:21 126:5 129:22 151:20 152:6,8,10 166:14 174:16 175:14 178:11 179:7,17 182:15 185:1	186:14 187:2,21 188:5 193:17 197:17 202:17,19 229:6 252:14 253:20 256:15 262:14,22 healthy 79:17 104:9 130:13 210:20 hear 8:7 12:13 21:3 67:7 79:12 142:2 168:5 176:2,18 181:15,16 182:16 204:5,6 235:4 240:10,14 241:15 270:3 heard 76:3 91:22 101:8 148:8,9 152:19 155:7 156:13 159:20 165:7,17 169:22 172:4 173:8 181:12 183:2 188:12 198:16 202:16,22 218:8 222:13 223:4,17 223:21 234:20 240:3 253:4 hearing 68:17 84:2 100:14 123:15 152:14 175:11,11 175:14,15 190:11 191:15 heart 78:12 heartening 12:6 heartwrenching 178:10,11 heated 21:21 heavily 140:7 held 205:3 257:15 259:6 hell 159:1 212:22 263:11 Hello 74:18 139:9 244:13 262:12 help 26:2 45:5,9 65:6 67:5 114:13	151:2 175:16,17 175:20 176:3,19 176:22 178:17 205:2,2,10,11 253:15 264:1 helped 62:18 100:20 184:9 209:16 helpful 74:2 helping 78:9 174:7 helps 222:2 Hendershot 116:1 119:4 Henry 4:5 159:6,10 240:10 241:11 Hey 197:5 Hi 254:2 267:5 hidden 207:20 hierarchical 117:20 hierarchies 148:1 hierarchy 31:11 55:16 79:2 117:9 117:12 118:1 121:2 144:13 181:22 high 25:1 27:6,21 31:15 32:14,18 33:9,16 73:16 136:2 175:6,7 249:9 250:16 257:14 higher 82:15 96:20 164:2 167:16,19 216:3 218:15 higher-level 89:21 highest 100:10 190:16 highlight 94:19 215:16 highlighted 171:16 highlighting 118:3 highlights 94:11 highly 8:6 34:19 64:1 82:10 102:21 121:1 143:21 high-chromium
H				
Haas 116:2 half 89:7,13 93:3 149:7 207:8 Hancock 66:19 73:12 141:4 hand 39:17 95:11 115:18 179:15 240:9 246:6 handle 134:4 handled 205:18 hands 25:17 245:22 happen 76:7,11 84:18 136:20 142:3 148:17 162:19 167:2,6 174:16 176:6 179:15 214:22				

30:15	158:13,18,19	huh 165:5	95:6 108:12 138:5	16:5 31:16 42:7
high-sulfur 102:21	159:3 166:10	Hull 2:4 3:20 97:19	167:4 238:5	42:19 43:14 44:4
hill 235:16	171:19 174:10	135:9,11,12 139:4	identifying 39:1	44:8,10,17,20
hire 66:21	178:22 188:14,18	human 118:5,20	55:18 132:15	50:3 52:7 62:12
hired 193:19	188:21 189:4,6,13	124:15 130:5	142:11	72:14 96:19 123:1
hiring 213:9	193:6 197:12	239:18 242:12	ignited 24:16 25:21	130:5 137:22
historic 6:5	201:10,13 204:10	244:6	ignition 26:14	173:3,4 224:14
histories 110:11	210:22 211:3	humanly 10:7	ignorant 266:6	implementation
history 100:10	215:9 216:19	hundreds 25:13	ignore 108:2 154:3	16:6 39:12 53:9
179:14 182:11	220:22 224:18	175:21	182:19 197:7	55:8 58:13 62:16
183:7	225:6,16,19 226:8	Huntington 217:6	218:5 219:8	102:11 119:3
hit 92:2 160:4	228:3 229:17	hurt 177:5 185:16	ignored 108:4	120:11 130:18
hoc 72:8	230:16 237:12	husband 264:22	197:8 223:7,8,11	implemented 35:10
hold 50:8 56:10	239:6,12,15	hydrant 29:3	223:12,20 240:5	49:3 52:2 116:19
112:13 164:14	244:10 245:19,21	hydrocarbon 22:2	243:4 248:22	118:16 119:7
165:4 173:1	246:3,14 247:11	24:12 25:4,16	249:4	135:2 150:19
185:14 225:18	250:8,10 251:3,6	50:16 63:3	ignores 13:10	implementing
holding 163:5	252:21 253:22	hydrocarbons	ignoring 13:17	41:19 50:21 71:15
262:19	256:20 257:4,7	25:10,21 27:6	100:4 101:9	132:16 133:19
holds 168:10	260:5 262:10	hydrogen 191:9	IIPP 184:5	138:7 199:15
holistic 149:4	266:10,14 267:3	234:15,16 236:7	Illness 184:1	importance 29:16
209:10	268:6,9	236:10 248:4	illnesses 205:20	94:11 98:22 118:2
Holstrom 17:19	horrific 236:10	hygiene 185:9	ills 116:18	121:7 155:22
home 207:1 217:11	hospital 16:21	hygienist 179:10	illustrates 48:2	220:7
221:21 263:16	202:6,7 203:15	181:19	image 75:9 80:2	important 9:1,3
homeo 209:10	206:7 207:7		image 176:10	12:12 14:3 16:18
homes 75:7 220:13	208:18 213:19,19	I	237:10 261:13	40:4 46:21 50:20
honesty 240:2	214:3 242:17	ICI 115:22	immediate 20:2	52:4 70:14 97:6
honor 143:20	253:19	idea 148:15 194:8	48:15	107:5 149:16
226:19	hospitals 26:18	206:12 245:14	immediately 23:8	183:12 190:12
Honorable 123:13	75:5 202:9 205:17	ideas 67:3 262:19	24:18 25:12 52:5	197:22 198:1,6,13
honored 6:4,6	206:16 207:19	identification 40:3	72:6 230:9 264:6	198:18 221:11
hook 24:2,11	208:1 209:6 214:9	45:4 46:6 51:21	imminent 109:5	223:16 245:8
hope 11:14 61:10	host 74:13	54:1 102:7	152:22 153:22	importantly 11:14
64:12 144:9	hostage 205:3	identified 37:16	154:1 192:12,17	16:7 28:13 173:14
146:19 148:5	hostess 74:14	38:8 39:20 40:2	193:2 218:14	impossible 146:11
193:13 226:20	hot 24:15 25:4	41:11 48:20 49:6	immune 209:18	244:3
233:17	hour 237:7	53:12 82:9 87:6	impact 47:1 61:22	improve 29:20
hoped 23:20	hours 26:16 75:7	94:21 95:6,16,19	129:9 160:21	37:18 46:11 51:11
170:21	82:19 83:1,4,6	96:15 101:9	193:18	56:18 70:18 71:10
hopefully 65:6	177:11,11 266:20	105:10 137:6	impacted 112:2	110:12 124:3
262:8	house 14:21 160:4	139:20 155:20	143:21 161:3	131:2,8 141:5
hoping 141:6	houses 160:5	170:2 190:14,19	impacting 133:10	193:16 198:7
Hopkins 4:18	Houston 165:12,18	254:20	impacts 252:15	201:4
246:15 252:22	huge 25:20	identify 32:22	impartial 136:18	improved 47:17
253:1,17	Hughes 4:21 267:4	36:17 37:1,2	imperative 108:11	48:3 50:5 56:8
Horowitz 1:18 4:2	267:5,6	51:18 52:18 59:1	implement 11:19	71:7 198:4 200:20

improvement 47:10 48:1 105:18 105:19 138:6 241:13	81:22 82:21 85:2 99:1 121:8 122:9 140:6 154:9 198:22 199:2 200:4 216:6 223:19	incremental 120:12 increments 114:22 independent 72:21 73:5 78:8 100:14 135:19	116:12 122:13 123:1 136:16 140:8 141:9,21 142:4,11 148:9,21 153:2,7,10,22 154:13 156:14 157:12 158:3 161:14 162:6,15 166:19,22 170:14 170:17 171:1,4 183:1,15 212:21 214:20 215:2,4 234:18 253:5 258:1,20 259:16 265:15 266:9	ingested 254:15 ingredient 111:2 ingredients 186:20 inherent 113:4,11 113:15 114:19 116:15,17 117:5,9 118:6 119:14 122:3 131:7 132:6 132:16 134:3,9 146:14 147:21
improvements 37:6 67:2,5 118:17 153:15 255:22	include 40:11 43:2 43:18 54:18 55:20 59:12 118:18 127:11 128:9 129:19 133:7,14 154:20 166:2 222:16	indicate 62:11 99:8 107:22 145:9,12 145:20	161:14 162:6,15 166:19,22 170:14 170:17 171:1,4 183:1,15 212:21 214:20 215:2,4 234:18 253:5 258:1,20 259:16 265:15 266:9	inherently 8:20 20:14 28:14 29:20 30:18 31:5,7,12 31:14,16 35:8 37:20 39:5 41:14 42:2,7,14,19 43:5 43:14,19,21 44:5 44:9,11,18,20 45:4,20 49:12,20 50:3 52:1 53:2 55:4,7,15,21 71:12,20 79:2,7 86:1 87:8 94:12 106:3 111:19 112:18 113:9,12 113:13,14,20 115:4,20 116:6,21 120:1,6 121:5 122:21 123:1 124:19 130:19 131:5,9,17 132:1 132:4,10,17,19 133:5,8,20 144:12 145:4 151:11 153:12 155:15 161:9 191:1,3,12 192:21 199:16,22 200:13 215:18 216:1 219:6 220:8 222:18 224:14 238:1,2
improves 158:2 170:3,3	includes 105:19 125:4 133:11 224:6 253:9 254:10	indicated 43:11 99:13 108:19	industrywide 135:15 140:17 146:14 199:2 226:4	50:3 52:1 53:2 55:4,7,15,21 71:12,20 79:2,7 86:1 87:8 94:12 106:3 111:19 112:18 113:9,12 113:13,14,20 115:4,20 116:6,21 120:1,6 121:5 122:21 123:1 124:19 130:19 131:5,9,17 132:1 132:4,10,17,19 133:5,8,20 144:12 145:4 151:11 153:12 155:15 161:9 191:1,3,12 192:21 199:16,22 200:13 215:18 216:1 219:6 220:8 222:18 224:14 238:1,2
improving 39:3 43:18 98:18 131:9 132:21 198:3	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	indicates 99:21 145:1	industry's 154:16 245:5	222:18 224:14 238:1,2
inadequate 234:13 235:16	included 35:18 39:3 40:22	indication 128:1 130:12	industry-wide 64:11	initial 61:9 89:11 167:15
incentive 73:16	includes 105:19 125:4 133:11 224:6 253:9 254:10	indicative 93:19	infant 254:11	initially 21:13 48:18
incentives 13:1 157:7	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	indicator 53:17 57:21	inferno 26:7	initiate 18:4
inch 22:14 93:15 181:7 234:11	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	indicators 39:14,15 39:18 50:20 53:14 54:2 59:2 130:11 130:15 142:7,11 184:16,17	influence 80:13	initiated 52:5
inches 90:2	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	individuals 34:20 37:13 114:5 127:11 172:15 208:3 227:7	informally 23:14 148:10	
incident 13:8 14:14 14:19 15:20 16:10 16:22 19:21 20:2 20:5,19 21:7 29:14 34:15 35:11 36:5 44:17 45:1 46:4 48:5,15,16 49:9 56:6 71:16 75:22,22 77:6,7 79:19 96:17 112:3 118:20 124:18 126:1,21 127:19 127:21,22 128:2,6 128:14,18,21 129:4 134:12 137:17 139:16 141:8 145:2,7 146:8,19,22 147:19 148:3,6 151:9 173:15 197:20 198:15 199:3 216:12 221:20 231:9 248:13 250:6 258:6	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industrial 58:2 59:15 70:6 71:5 71:11 72:10 73:6 78:15 79:1 83:16 106:12 115:15 116:8 121:18 124:3,6,7,12 125:6 130:8 137:1 143:16 156:19 157:17 199:19 215:19,21 257:11 267:13	information 10:1 13:19 28:22 46:14 47:8,12 48:10 50:7 56:9 57:9,17 102:5 104:15,16 104:18 105:1,8,14 106:9 107:14 111:3,9 125:22 126:1 128:14,17 138:13 174:13 206:15 208:2	
incidents 75:12,19 75:19,21 77:6	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industries 47:3 112:21 113:22 157:17	informative 200:3	
	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industry 34:16 38:12 40:12 47:14 53:1 73:22 87:12 87:14 103:11 106:1 110:21 115:16,20,21	informed 99:2 106:6 107:14 111:5	
	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industry 34:16 38:12 40:12 47:14 53:1 73:22 87:12 87:14 103:11 106:1 110:21 115:16,20,21	informing 81:12	
	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industry 34:16 38:12 40:12 47:14 53:1 73:22 87:12 87:14 103:11 106:1 110:21 115:16,20,21	infrared 5:7	
	including 8:20 9:13 19:9 22:3 31:12 31:20 50:13,16 57:17,20 72:9 114:5 115:6 128:12,18 131:9 133:21 135:20 143:13 171:15 173:17 191:4 199:22 261:12 262:15	industry 34:16 38:12 40:12 47:14 53:1 73:22 87:12 87:14 103:11 106:1 110:21 115:16,20,21	infrastructure 106:11	

126:17 injection 236:8,12 236:12 injuries 99:10 122:10 142:3 205:19 injury 100:1 103:19 183:22 injustices 78:8 Inn 228:4 input 146:20 147:20 inputs 151:11 inseparable 132:14 inside 21:22 25:22 insights 16:11 88:9 109:22 inspect 35:1 49:2 103:14 125:7 213:2,9 inspected 27:19,22 28:12 35:13 83:3 92:9 145:15,16 inspection 12:18 27:13 33:2 35:5 36:9 41:3 57:4 58:5 59:14 62:6 62:13 64:14 65:13 82:14 95:18,20 96:1,2,13 129:17 130:2 167:21 234:20,21 inspections 9:15 16:1 39:10 46:14 46:19 47:19 58:10 66:2 70:21 81:20 82:12 83:5 105:4 106:5,17 117:18 183:11 223:6,12 inspector 82:20 95:14,15 inspectors 22:20 28:3 33:10 66:21 82:11,17 84:8 101:10 194:17,20 200:11 212:20,20 213:2,5,6	inspired 240:13 install 91:21 250:16 installed 26:22 institute 62:17 115:8 184:22 199:10 239:18 250:12 institutions 10:17 11:18 insulated 22:14 insulation 23:18 24:3,11,13,21 25:1 integral 52:13 108:16 219:6 integrated 135:18 integrating 153:14 220:7 integrity 50:15 53:11 56:20 57:4 57:12 229:22 intelligence 107:9 intelligent 263:12 intend 169:1 intended 54:21 170:21 intent 119:11 intention 43:20 intentional 100:3 inter 109:12 interagency 109:18 200:7,9,22 201:3 interest 47:1 48:12 70:4 80:7 179:13 interested 86:21 89:21 interesting 120:5 211:8 258:6,17 interests 158:10,22 173:16 interim 1:8 4:22 7:8 20:8 21:5 67:10 75:1 86:9 112:17 113:3,8 114:11 117:3 118:10,22 120:9	139:14 144:3,10 215:17 269:2 internal 62:12 82:1 91:3 103:13 131:15 145:11,17 145:19 internally 78:12 145:15 international 2:6 11:7 98:2 141:17 142:1 internationally 159:14 internet 96:8 interruption 122:11 intimidated 195:15 introduced 118:9 119:15 introduces 119:21 introducing 194:7 198:4 introduction 3:5 17:14 invalidate 117:21 inventory 25:9 invest 256:9 investigate 148:16 148:19 214:9 investigated 149:17 149:22 150:9 231:21 investigating 50:19 82:21 83:1 197:19 investigation 1:2 3:5 7:13,14,15 15:19 17:15,18 18:4 19:3,7,9 20:20 21:2 26:20 29:1 44:14 49:15 50:10 51:9 56:6 59:14 60:2 62:1 62:10 69:20 70:2 74:6 75:1 85:13 89:14 94:17 96:21 98:14 99:12,18 102:5 109:22	112:17 118:20 131:12 139:13,13 143:17 146:18 151:8 158:16 181:3 189:16 221:7,17 231:16 260:18 269:2 270:9 investigations 68:10 103:15 123:18 134:13 158:15 211:13 220:1 investigative 1:19 3:17 58:4 61:13 85:7 99:7 216:10 221:16 investigator 19:2,5 29:12 30:4,5 42:1 42:4 51:3,6 85:18 87:4 89:3 90:6,11 90:15 92:4,11 93:10 94:1,7,22 222:3 investigators 12:15 18:1 28:10 123:17 130:17 229:21 investment 99:4 106:10 153:6 investments 155:14 invitation 135:14 invite 60:14 74:12 74:15 inviting 81:5 112:5 123:14 involved 94:9 145:6 178:15 involvement 47:21 170:8 involves 120:11 involving 47:17 171:2 irritation 202:20 202:20 ISD 113:13 116:12 116:18 118:14 119:5 120:22	ISO 72:19 isolate 23:4 ISP 113:14 issue 8:14 14:15,16 16:18 60:12 72:10 94:9,10 114:12 121:14 138:12 140:14 151:1 162:13 168:2 183:15 218:17 219:9 245:13 255:4,5 266:2,9 issued 99:19 100:7 100:8,9 issues 15:16 16:15 50:13 86:4 89:22 95:13 97:7 106:18 116:20 117:1 124:15 130:16 159:14 160:18 163:7 164:8 179:8 182:4 183:10,11 199:12 206:18 220:3 254:17 257:16,16 issuing 39:1 83:8 110:22 IST 113:14 item 54:3 85:6 97:3 it'll 76:7 I-N-N 228:5 <hr/> J <hr/> J 1:17 3:4 Jackson 4:10 201:14,15 203:12 jail 163:13 212:7 212:10 January 100:7 154:18 181:1 Jeff 216:19 Jensen 186:13 Jersey 188:7 jet 22:3 job 81:11 182:20 209:21,22 233:13 233:15
---	--	---	--	--

jobs 148:13 194:2 213:8	166:3 248:9	115:6,22	149:8 172:5 234:18 235:3	late 25:7 161:2 221:10 225:17
Joel 193:6,7,8	Karras's 261:21	knees 25:18	knows 8:3 209:2 235:15 262:6	Latino 217:15
John 2:14 3:13 6:14 69:10 121:17 121:19 122:15 159:21	Katz 4:9 197:13,13 197:14 201:11	knew 22:20 102:16 163:1 211:22 244:16 266:4	Koch 165:17	Latinos 160:9
Johnson 18:20	Kazakhstan 232:19 233:5 236:7	know 10:6 12:20 17:1 60:8 65:18 70:3,7,12 71:6 73:21 76:3 77:5 77:17,22 79:8,10 79:20 89:15 92:19 92:20 109:3 114:21 123:22 149:16 156:6 159:14 161:18,21 162:13,20 163:2 166:1,5 172:17,18 173:12 174:17 175:4,5,5,10,18 182:20 192:6,14 192:20 201:19 202:14 203:7,22 204:2,16 206:9 207:9 208:21 209:7,8 210:7 216:4 217:13 219:22 221:10 225:17 229:4,4 235:10,22 238:11 239:20 240:9,14 241:8,10,11,15,18 241:22 242:8,14 242:20 243:11,12 243:15 244:22 251:17 261:4 266:6,7	lab 208:19	Laughter 115:1 238:8 261:9
joined 5:18	KCRT 225:13	known 18:11 23:21 27:1 31:10 92:17 100:4 101:7 103:8 105:5,9 106:6 117:8 120:19 121:18 144:19	L	launched 109:18
joint 46:14 57:21 58:4,6 59:10 110:11 187:20 188:5	keen 218:1		labor 208:19	Lauren 1:22 3:10 18:12 29:13 30:4 42:5
jointly 58:9 59:16	keep 17:7 91:10 182:17 189:7 190:1 207:8 215:14 217:16 263:22		labor 11:2 98:7 110:20 150:13 151:19 152:5,14 171:1,7 191:2 263:16	law 73:14 100:11 163:13 165:4 187:9 195:15
Jones 255:3	keeping 64:20 253:9		laboratory 33:4,6 34:1	laws 67:3 110:14 140:3 160:17,17 161:22 187:5,6
journal 115:9 121:14	Kelly 18:21		laborers 218:7	lawsuit 195:21,22
Jovanka 77:17	Kenji 229:17		lack 47:5 64:2 65:10 106:13 109:6 218:4	lawyer 268:16
judging 210:6	kept 126:2 242:3		ladies 111:21 193:9	lawyers 249:10
judgment 40:17 264:14	key 20:20 28:11 50:13 51:17 63:15 85:21 86:11,19 92:10,11 111:5,8 114:5 147:19 156:2		lady 202:14 229:5 264:4,7	lay 207:10
judgment-based 40:22	Keystone 165:9 192:1		laggards 156:15	Layer 120:1
Juhasz 255:12	kids 254:19 255:6 265:2		lagging 39:14,18 54:2 59:2 142:7 142:22 184:17	layers 40:12 55:2 120:3,8 132:1
Julia 4:8 189:10,11 189:13,14 217:11	kill 241:1		Lake 27:11	lead 1:21 22:6 58:3 139:20 142:17 254:11,14,15,21 254:22 255:2
jump 29:9	killed 109:7 241:1 258:11		land 112:10 165:11 264:19	leader 18:7
jumpover 234:12	kill 241:1		land 112:10 165:11 264:19	leaders 150:14 219:12
jurisdictions 110:15 184:7	killing 164:15 229:2,14 259:9,17 259:18		landlines 126:14	leadership 61:15 65:4 66:20 96:18 98:18
justice 160:11,13 160:14,16 164:11	Kim 4:6 166:11,14		Langlois 4:13 221:1,4,6 222:1,5 223:1 224:9	leading 32:19 35:10 39:14,15 44:17 54:1 59:2 142:7 184:16
justification 153:18	kind 90:18 99:8 105:8 145:17 173:3 183:15 188:3,8 204:2,14 208:16,19 234:18 244:2 249:21 258:5 261:7 267:7		language 42:13 113:11 170:10 171:7 181:14	leads 47:21 187:1
justified 208:15	kinds 155:13 183:7 184:19 250:21		Laotian 5:6	lead's 254:14
justify 64:19	Kingdom 15:2 38:11 116:1		Lappe 4:7 174:11 174:12 176:15	leak 23:4,7,18,20 24:20 25:3 28:17 37:9 48:18 91:21 101:22 102:7 168:3
K	Kletz 31:9 114:2,4		large 25:9 68:9 267:12	leaked 12:19 62:4 63:4
Kaiser 175:18 177:7,18 178:1 202:7 207:7 208:8 245:14			largely 114:2 115:21 154:3	leaking 22:15
Kaj 186:12			larger 63:10	
Karras 2:7 3:22 98:4 143:5,7,9 149:15 151:7,14 151:16 160:2 161:11 163:17			largest 232:21	
			lasted 265:18	
			lastly 79:15 80:12	

24:10 63:1,5 82:5 88:16,22 leaks 23:11 102:18 255:11 learn 82:2 141:7 learned 27:9 62:5 62:21 104:11 112:20 113:5 179:11 185:8 learning 10:14 12:11 121:7 254:16 leave 6:3 121:8 207:1 leaves 107:15 leaving 149:7 186:7 lecture 114:19 led 15:17 Leedy 4:17 246:7 247:12,18 250:9 250:11 left 5:9,10 149:13 216:20 247:4 legal 112:7 155:6 185:10 217:3 legislators 73:20 98:17 141:2,9 Legislature 7:2 11:10 52:9 53:7 53:21 54:16 55:13 56:15 58:18,22 59:19 85:12 152:9 171:9 200:12 length 92:14 lessened 113:17 lesson 28:11 lessons 98:20 104:11 112:20 113:4 letter 121:13,17 208:14 letting 207:9 let's 88:2 151:3,4,4 196:12 223:13 247:9 level 61:17 96:20 104:7 110:2	120:14 134:8 169:18 260:15 levels 61:3 83:13 199:20 224:4 liability 214:14 Liberties 239:18 license 112:14 213:1 licensed 112:11 lie 194:4 lied 242:6,6 lies 21:11 241:17 241:17,17 life 10:9 164:8 lifecycle 116:7 119:16 132:5 lifelong 254:16 lifted 126:7,9 light 22:18 65:6 68:9 154:15 166:16 172:8,22 lightly 66:2 lights 6:2 likelihood 131:19 Likewise 199:5 251:19 limit 45:15 158:21 222:20,20 247:15 limitation 9:8 limited 251:9 limits 102:10 114:17 line 22:16 28:7 30:22 35:5 37:10 37:13 48:6 49:2,7 51:19 159:17 161:19 162:21 165:14 167:22 182:17 217:15 218:7 lines 32:4 174:2 198:20 line's 31:1 link 128:10 linked 181:11 links 188:5 liquid 22:2,13,18	25:4 liquor 164:21 list 11:2 97:9 225:20 listed 41:7 116:7 listen 10:2 82:3 216:12 226:19 229:9 270:3 listened 161:19 240:6 243:5 listening 142:14 190:11 195:7 228:8 229:10 listing 263:22 literature 186:22 241:16 litigation 252:3,9 252:13 little 64:20 93:4 112:7 155:10 161:2 179:16 202:2 227:19 231:6 242:2 250:2 live 159:16 172:18 194:3 214:13 221:14 228:9 235:9 253:1,13 267:6 lived 258:7,8 Livermore 176:9 lives 8:22 9:1 19:21 61:20 75:5 179:16 224:12 living 159:12 Llana 4:12 216:22 217:3 loading 131:15 local 2:5 11:6 47:13 54:5 57:19 58:11 70:9 71:5 72:15 73:20 75:4 97:22 98:17 106:22 107:13 110:1 129:21 138:18 139:8,11 140:14 141:2 199:20 204:14 205:17	226:1 227:8,13 247:21 260:15 locate 5:22 located 64:4 location 24:19 33:10 locations 28:4 32:7 32:9 194:18,20 Loeb 1:18 5:19 268:11,13,17,22 269:9,12,14,17 long 68:5 76:16 91:14 121:1 142:21 162:14 163:21 175:3 207:11 228:10 255:3 longer 64:21 126:17 253:13 long-known 166:21 Loni 66:18 look 16:14 33:19 42:7,18 43:7 44:3 68:3,17 69:6 86:15 87:18 88:18 105:4 107:19 108:6 130:3 138:15 139:17 141:8 149:4 171:14 173:12 182:8 183:22 184:5,12,21 186:10,12,22 187:19 188:7 221:15 247:14 259:3 looked 63:6 89:1 92:17 188:9 205:12 looking 91:14 92:15 106:18,19 110:4,9 186:19 looks 84:19 89:4 183:6,8 200:18 loop 111:1 LOPA 40:13 45:8 45:16 46:1 55:3	119:22 120:1,6,17 Los 217:6 218:20 loss 15:3 121:19 122:12 133:16 194:2 203:3 lost 103:22 201:1 lot 14:21 17:20 86:9 88:20 90:13 95:12 97:7 106:21 107:3 138:20 169:22 173:21 175:9 185:1 187:14 190:3 198:16 201:19 210:1,17 218:19 223:18 249:1,22 260:2 loud 204:17 louder 243:8 Louisiana 159:13 165:13 love 260:12 loves 252:9 low 27:7 33:14 34:17 35:13 45:12 45:18,22 46:2 55:5,19 73:17 96:4 120:10 148:6 169:21 185:4,20 lower 134:8 149:1 low-level 95:13 low-silicon 31:2 32:15,22 lube 21:16 lucky 97:4 lung 197:17 267:8 lurking 64:8 Lynn 4:12 215:10 215:10,11,12 216:3 L.A 150:13 191:21 192:14
<hr/> M <hr/>				
M 202:15 magnitude 65:16 235:13 250:13				

mail 241:16	129:12 130:4	61:19 75:9 176:8	77:13,22 78:6,18	medical 10:20 20:1
main 71:10 92:6	133:21 134:7,9	255:4	78:21 80:12,18,20	26:18
94:19 112:15	138:14 140:19	Master 231:13	196:17 262:2	medication 255:7
162:5,20	154:2,16 155:3,18	232:11,12	meal 265:3	meet 168:19 170:4
maintaining 104:9	156:11 163:3	material 30:12	mean 80:1 90:18	meeting 1:8 5:11
217:19	167:14,22 168:4	31:1,14 35:8	92:19 116:16	5:13,22 6:5 7:4,20
maintenance 14:22	168:13 186:15	37:21 39:6 41:15	162:2 180:8 192:2	79:11 95:3 121:11
15:12 28:2 41:2	187:22 198:22	42:21 43:11 107:1	203:10 245:8	151:18 169:1
57:10 70:22	223:18 233:19	107:4 146:20	263:6 264:20	208:13 226:10
105:20 107:5	235:5 238:2,3	147:20	meaning 118:7	231:3,4 241:19
180:12 182:17	243:13 248:2	materials 8:21 43:8	185:10	242:9 270:11,15
191:18 193:2	management's	64:3 70:20 94:12	meaningful 10:14	meetings 96:9
199:12 212:2	237:21	97:17 104:22	68:21 156:1	239:21
218:6 235:1	manager 232:15	106:4 114:17	means 107:19	Meiklejohn 239:17
maintenance-rel...	253:12	123:11 124:4	117:6 129:7,12	Melvin 4:19 247:1
57:7	managers 23:13	125:11,11,14,20	131:14 133:1,7,9	247:2 260:5,9
major 10:15 15:3	28:6 183:1 250:14	127:22 129:10,15	173:4 182:2	member 2:14,21
27:10 44:12 46:17	253:6	130:6 132:12,21	185:21 199:5	3:4,4 12:4 14:10
48:7 55:19 86:19	managing 1:18	133:6	210:11 216:4,5	14:12 17:4 31:8
87:13 135:17	79:6 158:13,14	matrices 12:22	measure 8:19 32:7	63:9 67:15 69:16
153:11 154:8	mandate 104:6,7	matter 104:6 121:5	measured 32:18	88:4,7 89:17 90:9
192:13 222:9	mandatory 170:5	214:19 243:5	33:11	93:8 94:15 96:22
majority 76:17	Manitoba 184:9	262:3 264:21	measurement 32:8	115:13 193:11
82:20	188:2	matters 122:21	measures 98:22	204:13 221:5
making 40:10	manner 8:22 66:9	Max 189:11,11	110:7 113:19	247:20 248:1
77:19 90:21 140:8	73:5 137:5	maximum 73:14,15	117:18,22 131:21	253:3 254:5
162:11,21 164:15	manufacturing	100:11 227:21	161:8 162:7 219:2	257:10,11 267:13
170:15 182:6	132:9 142:20	mayday 26:3,3,3	measuring 32:11	268:20 269:1,6,11
213:16 217:20	157:7	mayor 2:16 6:19	meatpacking	269:13
222:9	map 128:18	53:4 54:13 55:10	184:18	members 1:14 2:1
malfeasance 212:3	March 96:10,16	59:4 74:16,18	mechanical 50:15	3:2 5:17 7:1
man 159:1	Marilyn 4:13	76:14 77:13,22	53:11 56:20 57:4	10:19 12:1 18:6
manage 145:8	220:22 221:6	78:6,13,18,21	57:12 91:9 118:5	19:22 61:7 88:2
146:11 249:9	240:10	80:12,18,20	mechanism 20:4,15	109:8 111:21
managed 118:9	Mark 1:16 2:20 3:4	196:17 219:16	37:16,22 38:6,17	112:1 116:4
170:18	3:14 5:17 14:10	262:1	38:20 39:8,13,21	123:13 129:20
management 9:10	14:11 18:20 66:19	Mazzocchi 262:17	49:17 51:16,20	135:13 136:21
12:21 13:10,17,19	81:3 88:5	265:13	52:12,17,21 53:10	152:1 154:22
19:15 35:22 44:11	marked 6:2	ma'am 188:15	54:4 57:9 58:14	171:21 174:14
47:21 56:1 59:7	marketing 238:22	211:1 225:7	58:20 86:2 87:7	190:10,15 191:3
64:1,9 69:17	Martinez 4:17	239:13 244:12	95:8	197:15 215:12
73:10 83:20 91:15	246:11 251:7,8,16	McClain 263:17	mechanisms 15:6	217:2,7 218:17
91:16,20 95:21	251:22 252:6	McFADDEN 1:23	38:4,6 51:12	219:10,17,18
99:14 105:20	marvelous 210:19	18:13 93:11 94:6	52:18 57:18 95:7	221:7 222:6 226:3
108:4,21 109:2	Mary 4:18 19:14	McLAUGHLIN	media 125:21	226:14
118:11,17,19	246:18 253:22	2:16 3:14 6:19	128:12,15,16	Memorial 179:20
124:9,16,17,20	massive 7:17 28:18	74:16,18 76:14	211:18 218:19	211:8

men 136:14 180:15 180:16	microphone 19:1	131:22 134:4,14	motivated 143:21 153:6	257:2 262:12
mentality 112:21	midst 88:16	mix 12:14 164:9	Moure 5:14 19:6 157:12	named 263:17
mention 159:21 203:13 212:18	midwest 157:5	mixed 24:15	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	names 4:4 246:5 name's 166:14 179:2 193:10 260:9 267:5
mentioned 90:1 93:3 100:22 104:13 118:19 129:14 166:4 217:11 218:13 224:19	mid-1970s 170:14	mobilize 77:4 196:18,19	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	Nancy 2:20 3:15 66:20 83:11
mercury 254:10	Mike 2:5,9 3:21,22 4:9 97:21 98:6 139:6 151:18 193:8,10	mobilized 77:2	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nation 9:11 87:20 152:22 196:19
mere 65:19	mile 255:7	MOC 118:11 134:11	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	national 98:17 99:15 106:22 110:2 157:15 185:7 227:12 260:15
merely 41:7	miles 21:11 146:5	moderate 114:15 134:6 158:17	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nationally 196:10
message 81:2 127:19,20,22 128:5,9 226:22	Miller 2:17 3:13 6:8,11 60:15,17 60:19 61:6 66:11 69:9 82:6 141:3	moderated 4:2 158:12	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nationwide 10:12 16:13 85:17 150:7 226:6
message 81:2 127:19,20,22 128:5,9 226:22	Miller's 108:5	moderation 114:9	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	Native 165:11
messages 127:14 127:18 128:7,16	million 213:6 214:2 237:5,7,9,9 264:14	modern 152:22	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	naturalpathic 209:10,14
met 136:11,11 193:19 221:6	millions 80:14,14 196:6,7 252:10	modifications 119:10	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nature 153:9
metallurgical 33:22	mills 258:4	modified 134:16	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	near 22:12 68:18 70:9 73:16 84:12 88:19 147:22
metallurgies 30:14 30:17,18	mind 217:17	moment 18:3 60:21 112:8 189:3 192:13 246:22	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nearby 25:14 26:18 253:13
metallurgist 62:6	mine 12:14 203:14	Monday 81:14	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	nearly 63:2 100:9 158:1 167:3
metallurgists 101:11	minimally 255:16 256:6	money 193:20 196:9 213:22 232:4 243:17,20 243:22 249:13,17 252:13,18 256:2 256:10	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	necessarily 227:3
metallurgy 16:2 31:13 37:20 39:4 41:1,10 114:13 167:13	minimization 114:9 191:13	monitor 29:2,4 32:5 53:8,14 58:13 99:3 104:8	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	necessary 39:22 40:4,6 53:11 91:10 150:17 157:18 208:2 222:9
metallurgy 16:2 31:13 37:20 39:4 41:1,10 114:13 167:13	minimize 41:1,10 45:8 83:21 134:5 168:15	monitoring 101:6 104:19 125:18	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	need 5:8 6:3 9:6,13 9:19 10:1,2,10 17:5 20:13 46:8 53:17 65:8 68:3 70:18 75:16 82:9 89:11 95:6,20 104:13 105:1,7 106:10 108:15 109:11 112:20 114:15 118:3
metaphor 76:2	minimized 45:10	month 265:18	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
methodologies 36:15 40:9 54:19 57:2	minimizing 79:4	months 12:10 20:7 52:7 60:7 96:16 99:12 152:17 180:11,11 231:1 233:12 234:16	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
methodology 40:14 72:4	minimum 91:11	morning 18:2 207:1	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
methods 40:11 46:2 55:2 72:2	ministerial 195:17	Mother 255:3	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
metrics 130:11	minute 158:21 270:2	motion 268:13,19 268:21 269:7	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
metropolitan 238:14,18	minutes 25:20 114:22 126:8 247:15	motivate 155:13	Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
Michael 4:17 186:13 246:7 247:12	mirror 100:7		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	missed 51:17 219:8		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	missing 18:16 184:11 238:3		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	Mississippi 154:11		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	mistake 8:13 13:18		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	mitigated 170:2		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	
	mitigations 131:19		Moure-Eraso 1:15 3:3,6 5:3 6:10,18 6:22 8:17 9:5,18 9:22 10:5,9 11:22 14:8 17:10 18:10 18:16 60:5 69:8 69:15 74:10 80:19 85:5 87:3,22 88:5 94:3 97:1 111:13 123:6,12 135:6 139:3 141:13 143:3 151:15 158:8 166:8 245:20 247:9,13 268:8,15 269:14 269:15,21	

119:1 144:11,17 146:13 152:22 156:5 163:4,18 164:7,9,10,14 167:4 171:8 173:1 174:21 175:16 176:22 198:13 199:8,14 200:11 200:12 205:2,2,11 208:20 210:6,15 214:14 215:2 219:1 221:14 223:20 227:4,20 236:19 237:19 238:1,20,20 239:2 246:1 249:14 250:12,18 252:12 252:14,16 259:3 259:13,14,15 261:16 266:17,17 267:21 268:13 needed 37:3 41:12 46:9 55:8 104:18 144:6 155:14 167:12 176:1 177:20 191:17 200:14 228:21 needing 96:18 138:6 needs 14:21 63:22 77:20 84:13 91:12 142:9 156:7 170:7 176:2 187:13 205:4 214:8 253:12 262:4 negative 79:19 negligence 224:10 267:16 negligent 212:2 neighbor 241:17 neighborhoods 220:13 neighboring 9:2 neighbors 77:5 219:19 nervous 227:19 267:11	net 237:6 never 27:18 28:19 35:14 49:3,5 67:20 76:7 203:15 203:16 207:16,17 245:9 new 42:9 44:6,7 56:3 68:4 71:13 110:8 118:8 127:1 134:15 149:19 156:19 188:7 195:10 newly 115:17 news 61:4 Nibarger 4:6 166:11,13,14 171:20 nicely 122:15 Nigeria 159:13 night 12:8 159:2 270:13 nights 60:8 Nobody's 212:5 nominal 90:1 non 179:4 nonspecific 40:21 non-profit 214:2 non-profits 172:16 non-union 211:15 263:20 266:6 Nope 243:6 normal 201:3 normally 22:9 North 159:16 160:7 northeast 21:11 Northern 189:19 214:9 Norwegian 170:11 notch 216:15 note 4:4 5:4 15:15 19:6 109:17 120:5 144:17 187:18 noted 137:15 157:13 notes 47:11 noteworthy 115:14 notice 57:10 68:11	194:19 noticed 22:11 28:17 194:21 263:19 notification 50:18 126:12,13 127:1,3 notified 127:16 noting 137:17 notion 194:7 Notwithstanding 135:22 Nova 112:12 nowadays 191:6 nuisance 164:22 number 15:20 22:16,21 23:13 27:13 28:4 44:16 49:11 58:17 82:16 91:7 114:6 167:11 181:10 190:6 192:10 202:11 222:15 233:8 237:17,20 numbers 64:19 84:4 numerous 34:22 35:15 43:9 62:19 115:3 167:8 <hr/> O <hr/> Oakland 206:21 267:7 obfuscate 201:5 objective 136:12 objectively 40:10 obligated 230:22 obligation 122:19 122:22 obscured 24:20 obvious 101:22 122:7 obviously 89:20 102:1 occupational 11:2 13:13 98:7 151:20 152:6,7 179:7,10 181:19 182:15	185:9 186:14 187:2 262:14,22 occur 27:18 101:14 133:17 136:17 154:10 248:22 occurred 7:17 16:10 28:18 34:6 39:19 61:19 71:17 75:14 103:4 127:9 142:21 145:22 146:2,8 220:16 231:9 occurrence 46:16 occurring 128:2 131:21 200:4 occurs 27:4 127:15 198:15 199:4 October 264:16 offering 111:22 Office 47:11 126:20 officeholders 76:18 76:21 officer 97:18 123:11 125:22 126:5 official 8:1 80:22 121:11 officials 2:12 3:12 20:22 47:13 48:12 60:13 164:20 173:2 224:3 249:8 offshore 38:12 170:17 Off-mic 225:5,15 238:15 246:13 Oh 148:10 187:18 oil 8:8 9:19 21:17 21:21 22:1,4,18 56:17 57:6 59:22 82:12 131:12 135:18 143:18 147:4,4,12 163:19 165:19,20,21 168:13 170:17 175:1 191:21 192:3 212:21	213:12,14 222:20 232:3,21 233:1 244:3 255:14 262:16,20 265:15 oils 21:16 okay 69:15 94:22 161:15 189:2 206:19 207:12,13 216:21 225:13 226:8 228:6 230:16 236:3,15 239:10,15 246:6,8 246:10,14,16,19 247:4,11 257:7,9 old 14:21 175:6 195:7 209:17,17 251:11 255:18 256:6 261:7 once 39:20 125:8 236:14 259:22 once-over 66:1 ones 33:1 89:18 270:10 Ongerth 4:19 246:20 256:21 257:1,3,6,9 ongoing 146:17 151:8 onset 231:2 232:17 Ontario 185:1 op 231:16 open 25:8 262:19 263:1 opening 3:2 12:2 157:13 operate 9:19 24:8 91:14 136:13 174:3 180:5,16 251:20 252:2 operated 22:16 126:20 222:10 operates 155:7 236:13 operating 22:9 64:6 104:14 169:21 223:13 operation 14:17
---	---	--	---	--

15:9 70:6 169:11 265:21 operational 57:19 63:13 operations 46:19 109:4 125:20 132:12 136:8 137:9 138:1 153:16 operator 22:10 23:5,16 operators 25:15 168:1 205:16 opinion 90:5 148:21 151:7 opportunities 29:15 42:7,18 43:7 44:4,8,16,20 50:2 101:12 119:19 opportunity 10:13 21:1 51:18 86:16 103:3 139:1,10 141:20 149:2 152:2 171:13 219:8 230:19 opposite 118:1 opposition 73:21 optimally 45:21 options 91:2 92:2 order 5:12 97:10 117:12 153:7 160:15 164:13 ordered 72:19 ordinance 71:5,6 71:11 72:11,15 73:7 78:15 79:1 124:3,7,12 130:9 131:1,3 215:20,22 Ordinances 125:6 organization 14:4 45:9 179:4 197:17 239:19 organizational 48:21 50:14 64:7 67:22 124:20	organizations 14:1 organized 77:2 143:22 211:21 259:20 original 119:11 185:5 OSHA 9:9,12,13 11:7 19:11 36:7,8 38:18,19 41:18 49:13 58:10 62:1 63:6 65:18 82:10 82:13,22 83:2,13 83:15 84:4,14 85:1 97:12 98:10 98:15 100:14 102:20 108:10,21 124:9 156:13 173:9 174:14 176:20 178:15 187:13 194:17,19 196:4 199:1 200:11 212:17 237:6 240:14,14 264:3,4,7 OSHA's 35:21 99:7 100:10 102:15 104:6 109:21 outage 66:17 outcomes 200:19 outlined 137:20 outset 222:21 outside 255:9 outsourced 259:7 outstanding 233:17 overall 8:10 28:8 130:12 133:3,7,18 overarching 65:9 136:12 152:18 overburdened 161:4 overhaul 170:22 overhead 22:14 145:10 overly 49:22 155:9 overpressured 133:16 overridden 64:15	overruled 168:4 oversee 66:8 153:2 oversight 72:22 129:19 140:10 156:12 overuse 218:3 overwhelming 105:1 owners 205:15 O-N-G 257:7 O-N-G-E-R-T-H 257:6 <hr/> P <hr/> Pablo 228:9 230:1 packed 241:21 packing 210:14 page 208:14 pages 7:10 paid 66:16 138:20 184:20 pains 173:22 203:3 panel 2:1 3:18 21:3 31:8 60:6,10 88:8 97:3,6,8 139:11 142:15 143:14 212:6 226:14 230:20 270:6 panelists 173:16,17 paper 174:18 177:9 177:12,20 183:20 paragraph 96:6 180:22 Park 217:6 Parker 4:9 193:8,9 193:10 195:12 part 16:4 18:17 35:17 38:21 43:5 50:20 52:13 59:20 85:19 87:1 92:16 100:3 108:16,16 109:16 133:8 139:10 146:5 149:12 152:6 180:2 183:2 199:6 214:19 219:6 220:8 228:15,16	236:18 253:12 PARTICIPANT 159:1 participants 168:11 participate 59:10 123:14 participated 38:14 participation 57:16 59:12 142:10,10 170:9 187:19 201:7 particular 23:1 92:7 143:18 169:11 183:16 217:8 227:13 248:10 255:22 particularly 27:3 183:5 193:17 254:6 particulates 129:8 175:1 parties 141:7 partly 244:14 parts 18:11 56:13 party 129:16 Pascagoula 231:18 Paso 231:19 pass 251:14 268:10 passed 262:22 269:19 passive 117:6,13 131:13,18 132:20 133:1,7,9,22 patch 88:17 patched 62:22 patchwork 46:7 path 172:22 patients 216:22 Patrick 19:11 Paul 2:2 3:19 31:8 97:13 111:15 Paula 239:6 pause 250:14 paves 222:8 pay 73:8 179:13 196:9 213:13	214:15 264:17 paying 165:19 183:19 Pays 183:21 peer-reviewed 143:19 penalties 100:10,13 169:4 212:6 250:12,17,19 penalty 162:10 pencil 64:19 pennies 163:6 people 16:21,22 18:17 25:13 26:17 40:17 60:9 75:4 77:5 88:13,18,20 90:14 115:16,21 115:22 119:10 122:17,19 128:9 128:16,19 159:19 160:19 164:15,16 167:11 174:5 175:5,22 176:7,7 176:9,11 180:21 182:20 190:20 193:15 194:1,21 196:20 201:22 202:9,12 203:18 203:19 208:21 210:1,20 211:20 213:17 214:3,10 214:12,16 215:3 227:1,7 238:4,4 241:20 242:21,22 245:15 247:17 258:18 260:16 263:1,9,9,12 266:2,17 percent 15:3 33:2 34:8,10 48:6 62:13 95:20 96:1 156:22 167:21 214:6 217:14,15 255:6 258:17 265:8 percentage 33:9,14 147:3
--	--	---	--	--

percentages 32:14	62:17 97:21	181:3 192:16	placed 32:9 95:17	266:16 267:10
perform 51:15	135:10 170:11	194:9,10,11 223:4	96:2	pointed 63:12
52:11 58:19 95:22	Pfizer 263:18	223:9 235:1,2	places 92:15 146:7	106:11 154:12
124:19,20,21	264:18	236:12 243:19	165:22 184:19	166:22
129:17	PHA 35:21 36:22	pipeline 67:19	202:13	points 113:2
performance 39:16	37:8,11 38:1,21	165:9 176:4 192:1	placing 236:20	144:18,19 145:9
46:12 47:20,22	38:22 39:21 40:17	pipes 22:6 71:1	plain 30:11 113:15	181:10 251:10
56:19 156:7	40:20 41:8,17	82:5 102:18,22	plan 58:9 96:2	poisoned 214:4
performed 27:12	49:4 51:17,17	106:12 107:11	124:15 164:3	poking 24:3 192:15
33:4 36:6,11 41:9	phalanx 193:19	145:18 183:12	168:18 169:3,5,6	pole 24:2
43:22	pharmaceutical	192:17 203:7,18	169:10,15 170:3	policies 99:16
performing 22:10	264:19	208:22 223:10	219:13 248:3	101:2 103:12
53:15 156:16	PHAs 36:3,5,11,15	243:21	planet 259:9	108:16 160:21
peril 107:16	36:22 42:8 44:5,6	pipeway 234:9,11	planning 17:19	political 77:13
period 8:9 12:16	phase-out 191:4,8	piping 8:6,8 12:18	50:11,17 205:13	185:19 196:15
31:4 163:4 164:9	phone 128:4	27:2,7,15,18,22	247:22	197:9 227:8
164:15 253:14	phones 126:15	28:12 30:13 31:17	plans 138:14,17,21	politicians 165:6
periodic 32:7	127:12,18	31:18,19,20,22	plant 15:5,6 84:12	165:16 196:7,9
permanent 102:11	phonetic 19:12,14	32:2,7,8,12,15,16	153:15 180:4	politics 172:14
132:13	photo 33:5,21	33:20 34:7 35:2	181:2 211:13,22	224:3
permissive 49:22	physical 64:3	35:14 37:17 38:3	230:8 232:21	polluting 80:9,16
155:9	154:13 175:10	38:5 39:4 41:12	234:9,10 238:22	149:12 165:11
permissively 42:11	pick 70:8	41:14 43:1,10	240:12 251:20	pollution 79:22
permits 144:15	pickup 251:12	48:9 50:17 52:15	252:3 263:13	143:15 147:22
persist 14:1 80:4	piece 62:4 234:11	62:9,13 64:15,17	plants 8:21 15:17	polypropylene
persistence 61:12	pieces 146:6 232:9	67:13 92:8 93:17	157:5 184:18	181:5
person 17:16 74:12	pike 24:2,5	119:18 132:22	234:13	pony 166:6
81:1 111:15 139:5	Pinkham 246:9,10	133:15,15 145:10	play 261:11	poor 156:11 169:5
151:17 163:12	pinpoint 23:18	145:13 146:6	played 147:19	169:10
258:18,19	Pinto 244:21,21	237:4	player 183:17	portion 34:1 41:22
personal 40:21	pioneering 114:1	pitting 145:11,17	plead 178:14	posed 103:5
203:14	pipe 19:19 22:14,15	pity 205:1	please 5:21 6:16	posing 164:22
personally 69:21	23:3,19 24:4,7,10	place 17:6,22 18:2	29:1 81:3 158:21	position 106:9
70:7 71:8	24:11 25:1,5,7,11	21:20 41:10 45:21	188:15 192:8	108:12 198:21
personhood 163:11	26:21 27:13 28:13	52:20 64:20 70:11	216:6,15 247:14	positive 43:17
personnel 15:20	29:16 30:7,21	75:7 77:11 126:6	251:7 266:11	possibility 99:22
52:11 129:2 154:6	33:6,11 41:3	126:9 128:1,3,10	plume 26:14	100:1 133:10
155:20	48:20 62:4,22	128:12,20 130:4	plumes 220:12	possible 8:19 10:7
perspective 102:15	63:7 64:20 70:16	130:14 138:4	point 26:22 90:20	36:18 37:1 106:5
112:18 135:16	88:16,22 89:20	140:4 141:10	92:10 96:6 101:2	118:16 148:7
perspectives	90:1,19 91:4,9	156:10 167:9	104:14 120:20	189:8 193:22
110:20	92:14,16,16 93:1	170:13,13 171:10	145:1 146:12	possibly 32:19 67:6
pervasive 99:13	93:15 101:7,10,13	171:11 176:21	152:18 154:17	post 82:21
103:20 106:12	107:1,4 114:17	188:8 202:16	156:18 181:8	poster 93:12
petrochemical	145:2,6 146:1	224:5 241:21	184:8 208:9	posterboard 34:14
87:12	147:9,10,13,15	245:3 251:13	210:12,12 217:19	post-incident 83:9
Petroleum 2:4	166:21 167:12	256:1 263:8	232:2,11 243:7	144:15

potential 16:20 36:16 38:7 44:4 52:18 62:14 145:20 249:20 250:5	preparedness 47:10 110:6	preventable 34:16 81:16 99:11	privatized 259:6	16:19 20:16 21:17
pounds 181:6	preparing 95:3	preventative 39:17 52:1 218:6	privilege 85:8	21:20 29:17 35:18
poverty 217:15	prescribed 40:14	prevented 45:2 46:4 157:4	proactive 99:4 113:15	35:20,21 36:13,16 36:19 37:15,19
power 71:19,20 106:2 157:5 168:7 168:10 174:6 196:16 197:9	presence 6:7	preventing 149:5 150:3	probably 17:20 90:13 177:4 181:5 202:10 207:8	39:11,22 41:17 43:18 44:12 45:21 46:12,13 47:1,3,9 47:16,22 48:8
powers 195:17	present 2:12 7:13 20:20 30:1 51:4 51:22 60:16 81:8 138:16 140:20 155:9 220:4	prevention 47:11 54:6 56:20 57:22 58:6,12 82:19 83:10 105:16 110:7 121:19 124:10 125:3,5 143:15 148:1 150:6 181:18 182:1,7 183:19,21 184:1,6 198:3,7 203:9 222:15,16 248:2	problem 13:12 23:15 32:11 64:12 65:16 67:14,20 96:16 114:13 140:17 153:21 154:1,4,13,15 166:19,19,21 173:19 186:2 196:14 197:6 208:10 210:2 212:19 226:5,5,6 238:6,7 260:19 266:4,22	49:4 50:19,21 51:12,13 52:5,14 52:15,16 53:15 54:2,10,10,17,22 55:18 56:1,3,4,10 56:16 57:5 59:2 59:21 65:20 66:6 71:14,15,22 83:19 99:15 101:3,5 105:19 106:16 108:6 109:20 112:3,21 113:5,21 114:15 115:7 118:15,17 119:2 119:16,18 120:6 121:14 122:6,8 123:20 124:9,16 129:6,18 130:5,11 130:13 132:3,4,9 132:12,15,18,19 133:19 134:10,11 134:15 137:7 167:15 168:12 169:9 195:7,16 201:3,8 209:15 243:13 254:9,19 255:1 266:7
practicable 45:12 45:18,22 46:3 55:6,20 120:11 123:3 169:22 185:5,6,21 186:8	presentation 3:9 17:13 20:17 29:13 30:3 41:22 51:2 60:3 68:5 112:6 112:16 121:5,9 192:15 211:10	prevalent 98:22 180:12 182:16 222:19	problematic 162:18	112:3,21 113:5,21 114:15 115:7 118:15,17 119:2 119:16,18 120:6 121:14 122:6,8 123:20 124:9,16 129:6,18 130:5,11 130:13 132:3,4,9 132:12,15,18,19 133:19 134:10,11 134:15 137:7 167:15 168:12 169:9 195:7,16 201:3,8 209:15 243:13 254:9,19 255:1 266:7
practical 45:15 116:20 143:15	presentations 115:10 158:5 234:3 270:7	previously 82:15	problems 16:13 26:19 62:2 64:10 95:17 99:13 100:21 102:12 106:6 152:11 155:19 159:15,19 165:10 167:1 175:4 190:20 191:18 193:2 198:17 207:17 218:3,10 223:19 233:2 245:10 250:7 267:8	processed 163:19
practice 15:12 23:10 38:16 105:18 162:3,7 170:3,4 171:11 253:6	presented 30:19 52:21 140:2 153:4 218:14 249:3	priced 249:10	procedural 113:19 117:7,17,22 118:3 132:20 133:22	processes 8:21 36:1 42:9 51:22 56:3 71:13 104:22 111:4 113:13 116:6 124:13 161:9
practices 53:1 62:16 64:5 103:11 137:3 169:20	presenting 77:10 197:20	prices 66:16	procedure 134:8	processing 84:7 133:12 237:20
practitioner 121:18	presently 219:17	pride 173:21	procedures 57:15 91:3 99:17 102:3 102:8 108:17 122:2 131:10 240:5	process-oriented 218:1
practitioners 115:16	presents 32:11 154:1	prides 142:4	proceed 5:21	produces 135:19
prayed 204:22	President 97:19 160:15	primarily 15:6 21:14 160:8	proceedings 7:5	
prayers 205:9	press 8:4 81:14	primary 125:12 127:6	process 9:9 16:12	
preamble 251:9	pressing 218:17	principle 148:4 264:21		
preceding 48:4	pressure 25:1 36:21 91:8 107:10 131:15 156:14 175:6,7 176:16 177:19 181:7 206:11 227:8,21	principles 63:15,19 63:20 114:7,19 115:20 116:18 118:14 123:2 164:13		
precious 10:10 242:12,21 243:2,3 243:4	pretty 131:20 135:1 161:14,17 248:14	prior 15:19 56:2 71:12,13,14 100:17 203:1		
precise 84:15	prevent 47:14 81:21 83:20 85:1 86:18 87:12 101:14 103:4 122:7 131:14 140:5 168:14 200:4	prioritize 105:4		
predict 39:16		priority 136:2 138:4 256:16,16		
prediction 235:8 236:4		private 265:8		
predictions 231:10 235:7				
preexisting 176:18				
preliminary 89:4				
premier 142:18				
prepare 138:15				

rapid 157:11	259:3 260:22	59:11,18,20 79:13	27:17,21 38:18	10:1,11 15:9 20:4
rapidly 25:8	261:11 263:5	109:11 144:6	62:16 79:14	47:6 52:6,10
rasing 149:10	264:20 267:11,12	146:15 200:8	173:11	53:13,22 56:17
rate 30:16 48:8	reason 41:18	215:17 230:8	recommending	58:19 59:1 60:1
203:2	135:22 148:22	236:22 237:15,16	79:9 199:18 200:5	66:7,14 67:4
rates 30:10 32:5	195:13 196:3,4	238:10,19 253:18	230:13	71:19 72:1 82:13
33:16	204:17 207:17	258:16 261:6,22	record 121:11	84:8 85:15 99:5
rational 79:13	208:15 209:12	recommendations	RECORDING	104:3,8,16,21
155:5	reasonable 99:22	3:8 7:11,16,22	21:10	105:2,6,9,15
rationale 54:19	148:7 149:3	11:15,20 12:17	records 57:11	106:7,8,10,15,19
57:13	reasonably 45:12	16:1,4,6,7 20:9,13	202:8	108:17 111:3,8
reach 107:14	45:18 46:3 55:6	20:21 21:5 30:1	recoverable 149:8	136:14 137:10
reached 91:13	55:20 120:10	34:22 35:4,6,9,16	recovery 131:16	138:4,14,17
176:8	123:3 169:21	37:6,18 39:2,3	rectangle 33:21	140:16,20 148:12
reaction 105:17	185:4,6,20 186:8	43:9 44:14 49:1,3	red 32:4,16 33:1	149:19 150:4
reactive 168:16	reasons 119:7	51:4,10,11 53:12	35:6 62:7 90:19	151:12 153:12,16
read 17:20 95:1	188:3 235:22	53:16 54:4,11	147:2	154:19 155:4
113:12 179:18	rebuild 107:2	56:6 58:15 65:22	reduce 30:19 40:7	159:12 165:18
188:12 239:22	195:5,9 256:5	69:20 71:9,10	45:5 46:2 113:17	168:13 174:3,4
readily 153:13	rebuilding 153:11	72:12,13 74:1	120:13 131:19	182:13 190:3,9,16
reads 125:18	rebuilt 44:12 56:3	77:9 78:11,16	132:18 133:3,7	190:17 198:12
ready 223:13	71:14	85:12,16 87:17,20	reduced 45:11	216:7 217:12
real 105:14 129:13	rebuilt 195:9,20	96:13,19 101:10	reduces 132:10	218:9 219:15
163:17 182:22	256:3	103:13 104:10	133:10	220:5 222:10
reality 78:3	recall 58:16 59:17	108:3 109:19	reducing 117:6	253:6 260:21
realize 13:5 23:1	167:6 233:11	110:22 124:1	132:7 133:2	265:16
176:12	receive 127:13	130:21 131:1	reduction 31:11	refiners 135:19
realized 109:21	128:4 136:5	134:11 137:12	45:13,14 46:6	136:3 138:9,20
260:14	received 26:5 94:16	139:18 140:1	117:11 120:12,15	refinery 1:4 7:18
really 60:9 102:7	108:19	141:6 144:5	120:16 131:20	11:13,17 12:9
123:19 134:18	recipe 15:14	150:19 161:12,13	132:13	13:16 14:16,17,20
148:22 160:12	recognition 117:4	161:21 166:3	redundant 234:4	15:13 16:13 19:18
166:4 168:17,22	recognize 65:16	167:20 172:20	Redwood 232:8	21:11,16 22:7
169:16 172:2,19	66:22 169:10	197:1,4,22 198:2	reenactment	23:11 26:15 27:11
173:14,19,20	recognized 40:12	216:14,16 217:18	221:19	27:14 30:13 31:18
175:17,20 176:1,1	54:19 57:2 116:22	217:21 218:2,7,11	refer 181:1 184:15	33:7 36:3,6 37:8
181:15,17 182:3	169:19	219:3 220:9,19	187:3	51:22 57:4,6 64:6
185:11 188:12	recognizes 78:8	222:17 223:6,8	reference 118:10	64:11,11,16 65:5
190:21 193:22	118:2	226:20 230:4,5	119:14 219:15	66:17 68:4,19
201:20 204:18,21	recommend 183:20	231:11,22 232:1	references 89:19	70:10,19 72:3,21
205:2,9,9 206:17	183:21 184:5,21	233:16 234:7	119:1	73:2 81:15 82:17
206:17,17 215:5	185:3 186:10,12	236:17 248:1,6,8	referred 30:17 92:1	83:4 84:16 96:12
221:9,11,14,17,18	187:19 252:2	249:1,1,3 252:16	115:12 116:14	96:18 98:19 99:3
222:2,18 234:16	recommendation	253:11 256:18	118:7 160:2	102:8,9 105:20
238:10 241:13	23:16 41:13,16,19	259:2 260:1,13,20	refine 149:11 216:7	109:15 110:17
242:12 243:10	52:4,7,8 53:19,20	261:20,21 269:4	216:8	125:15 126:4,8
254:17 257:18	56:13 58:17,21	recommended	refineries 8:18 9:20	129:18 130:3,6

137:1,8 141:5	regulating 117:1	124:10 125:3,5	71:15 228:21	155:9,22 167:1,6
142:20 144:14	regulation 32:6	133:3,10 236:7	234:22	167:10 171:15,16
146:2,5,13 149:1	35:22 43:13 67:4	248:12	repeat 102:14	173:13 179:20
150:10 152:16	184:1 255:10	released 137:16	repeated 13:2	183:2,5,6,8
153:2 157:12	regulations 42:5,10	236:11	101:9 108:2 154:5	188:13 190:22
159:17 160:1	42:11 43:17 49:17	releases 8:5 83:22	repeatedly 62:11	198:19,21 199:7
161:13 163:20	65:8,10 81:21	154:21 168:16	101:8 149:11	215:17 217:20
167:3,8 172:11	85:1 157:7 176:5	205:21 208:4	repetitive 231:6	221:18 222:7,8,17
174:2 180:1,2	184:3,6 195:19	relevant 59:13	replace 8:7 12:18	224:21 225:1
183:9 189:22	196:2 203:8	reliability 118:4	29:15 35:7 41:14	240:1 253:11
193:21 195:3,20	205:15 240:4	reliance 113:18	43:10 49:2 64:15	254:3 256:17
216:5 219:7	regulator 35:17	relief 60:22 117:14	64:17 67:13 70:22	269:3
223:10 228:21	36:7 39:15 41:20	131:10,15	82:4 91:4 101:13	reported 103:9
230:9 236:21	53:17 57:1 116:9	relies 40:16 140:7	103:13 119:18	145:11 199:3
238:12,21 254:9	116:11 142:9	rely 139:19 187:10	replaced 28:6,14	202:15
255:8,10,16 256:3	169:8 170:15	187:11	35:15 62:3 63:7	reporter 257:5
256:5,6 261:5	171:1	relying 79:5 106:4	92:19 194:11	reporting 39:7
265:15,20 266:3	regulators 9:6 39:9	remaining 24:20	261:6	53:17 54:1 57:8
267:9,17,19,22	43:11 46:21 47:6	remains 20:6	replacement 27:17	57:17 105:2
269:3	48:11 50:9 55:9	136:12	28:8 62:9 101:7	108:20 153:9
refinery's 255:17	56:11 65:15 81:20	remarkable 61:14	replacing 31:13	201:2 205:13
refining 21:19	106:22 138:9	remarks 12:2	167:21	reports 8:4 62:10
34:16 136:6 138:1	169:7 249:9	116:14 152:2	report 4:22 7:8,9	157:2 240:1
140:11 143:18	regulatory 9:10,12	157:13 247:16	7:14,22 8:1 13:7	repository 58:4
166:22 219:14	29:21 39:9 46:7	269:22	16:16 17:5,13	59:13
239:3	48:22 49:8,12	remember 76:15	20:8 21:5 50:11	represent 10:18
reformulated	50:4,13 54:5 56:7	76:16 160:1	57:1 59:1 60:11	265:7
164:1	56:16 58:11 59:10	161:10,11 179:22	61:9 64:13 65:2	representative
regard 119:20	59:22 68:3 82:11	244:21	67:9,11 68:15	60:19 61:6 66:11
199:17	86:4,13 99:2	remind 106:20	69:20 70:15 74:2	80:22 98:1 139:7
regarding 7:16	102:20 105:21	reminds 76:2 119:4	81:18 83:7,11	representing 68:20
151:9 218:5	109:13,21 111:5	remove 24:11	85:21 86:1,3,9,10	81:2 129:20 179:3
regardless 160:19	153:1,19 155:16	removed 145:14	86:22 88:11 89:7	217:7 260:10
regime 86:14,17	156:3,12 157:14	removing 23:18	89:19 94:17 95:1	represents 135:17
region 10:18 217:8	157:20 176:5	renovate 255:19	95:7,19 96:7,21	140:15
regions 189:20	196:11 224:5	256:5	105:22 107:20	request 83:17
register 127:12	227:3,17 234:6	renovated 255:16	108:18 109:1,19	121:10
registered 112:11	reiterate 86:7	256:3	110:7,22 112:18	require 42:6,12
126:16	rejected 167:22	renovating 256:2,7	113:3,9,12 114:11	44:3 49:17,22
regular 31:3	related 57:3,11,11	reopen 213:1	114:15 117:3,5	52:10 53:22 54:11
regularly 33:11,15	116:20 117:19	repair 57:5 88:17	118:10,13,22	54:17 55:14 57:8
91:15 154:10	relations 58:2	88:22 102:7	119:13,21 120:10	73:7 79:1 144:12
regulate 68:4 84:6	59:16 83:16 137:1	144:15 180:9	131:12 137:13,16	149:7 169:13
258:20	249:11,16	231:22 232:4	137:18,20 139:14	170:17,22 171:2,4
regulated 49:4	relationship 200:2	repaired 144:21	139:17 144:3	200:13 213:18
77:20 170:6,9	release 7:17 8:5	231:19 252:4,7	146:18 151:8	215:22
174:4 222:10	50:12 54:6 70:10	repairs 44:12 56:4	152:4,13 153:17	required 32:6 36:4

36:13 38:18,21 44:21 45:7 50:4 51:13 63:8 119:18 124:16 156:8 169:17 199:17,19 requirement 55:7 82:16 169:2 184:11 requirements 43:21 44:19 49:13 49:20 55:21 58:15 124:8 199:19 215:18 233:22 requires 58:19 59:1 59:20 99:1 107:6 124:14 155:10 157:19 168:17 205:15 requiring 71:11,22 168:21 192:21 research 15:1 113:7 185:2 researcher 113:6 reserves 149:8 resident 226:16 228:9 230:1 239:11,16 247:19 residents 9:2 70:3 70:13 73:1 217:14 219:19 224:13 256:11 resistant 132:22 145:6 233:20 resolution 78:14 resounded 126:7 resource 9:8 104:7 resources 9:6,14 105:11 115:4,14 136:6 187:13 respect 122:12 204:3 233:11 248:10 respectfully 144:7 respond 155:18 responded 125:15 205:4 responders 61:2	responding 23:10 155:5 response 26:5 42:22 50:18 61:9 68:18 89:10 114:2 115:13 125:12,13 125:15 126:11 129:2,6 138:3,17 197:19 245:6 264:4 responses 69:6 137:3 187:22 responsibilities 58:12 110:14 responsibility 104:2 199:14 responsible 84:5 116:5 252:14 responsive 110:6 responsiveness 47:22 rest 89:7 157:1 162:15 243:9 restricted 118:14 result 19:20 20:5 37:15 99:18 122:9 157:6 205:20 results 75:1 119:3 134:12 258:21 259:16 retaliation 108:20 retire 206:21 revealed 27:14 181:3 review 37:22 38:12 38:21 43:6 51:16 52:12,13,17,22 53:10 58:14,20 95:8 96:11,17 133:9 136:18 137:2,4,11 reviews 20:15 38:7 38:17 39:8,13,21 47:20 49:18 51:20 54:5 56:2 57:10 86:2 87:7 review's 38:22	revise 78:14 rich 236:8 Richard 1:18 5:19 268:11 Richmond 1:4,5 2:16 6:20 7:19 8:19 11:8 19:13 19:18 20:10 21:10 27:14 30:14 32:21 36:6,8 37:8 42:6 43:17 44:3,21 49:21 53:5 54:14 55:11 59:5 64:4 65:5 69:19 70:3 70:13 71:3,19 72:14 74:4,15,16 74:22 76:12,18,21 78:22 80:5 82:3 84:11,21 96:12,18 124:1 129:18 130:1,9,20 140:14 143:22 144:13 159:13,16 160:8 172:1 173:21 176:7 190:21 193:11,14,15 195:2 196:8 204:7 210:1 213:18,19 214:3 219:16 221:5 222:12 224:12 226:16 227:1,5,22 228:10 230:2 235:16 236:1,20,21 237:4 238:12,21 239:17 240:17 245:10 247:19 250:6 254:6,21 255:10 256:11 267:6 269:3 Richmond's 124:6 rid 238:6 ridiculous 242:8 right 9:7 16:22 18:8 19:18 29:9 63:18 64:4 77:19 94:4 147:7 148:20	159:3 160:13 162:6 163:7 166:10 173:6 181:6 186:19 188:22 190:8 191:17,21 199:9 199:10 210:6,11 210:22 216:22 225:4 228:6 235:11 240:22 241:1,3,4,14,19 242:5,20 244:4 247:11 250:7,10 251:3 263:10,10 263:11 rights 211:17 239:18 244:6 264:22 rigorous 20:14 41:8 43:14 44:18 49:22 55:6 155:16 ring 93:18 ringing 202:19,22 rings 93:14,15,16 94:4,5 ripped 25:8 risk 8:11 16:20 27:21 30:19 31:10 37:17 40:7 45:6,8 45:11,13,14,22 46:6 47:18 55:19 75:6 80:1,10 101:2,18,22 103:5 103:18 113:17 117:6,11 118:8 119:6 120:12,13 120:15,16 124:17 131:20 133:2,8 134:7,9 138:13 145:21 148:6 170:18 172:12,13 173:5,7 177:14,15 180:7,7,13 181:15 192:4,18 224:13 237:4 248:2,16,20 248:21 249:6,13 249:20,22,22	250:18 risks 34:17 37:12 38:2 45:17 46:2 55:5 110:8 138:16 169:21 190:14,18 198:14 238:18 249:21 250:5,22 risky 250:20 Ritterman 216:20 RMPP 248:2 roadways 233:3 rob 252:9 Roberta 4:16 244:10 Robin 4:7 174:11 178:2 robust 117:10 224:5 rock 160:4 Roger 1:22 3:10 4:12 18:12 29:19 42:1 51:7 90:12 92:5 94:4 215:10 215:12 Rohm 116:2 role 73:9 147:19 200:10 roll 250:14 rolled 248:19 249:4 Ron 2:6 3:21 98:1 141:15 roofs 131:15 room 5:22 177:18 259:4 266:19 root 12:12 94:21 124:18,18 139:19 194:7,15 196:12 Rosa 258:11 Rose 4:14 228:6 Rosenberg 1:17 3:4 5:18 12:3,4,9 14:9 63:10 88:3,4 269:6,10,11 Rouge 183:9 rough 204:15 roughly 83:6 routine 22:11 82:5
---	---	--	--	---

row 266:21	55:15,21 70:21	113:4,5,11,15,19	San 21:12 26:12	Science 185:19
RPA 253:3	71:12,20 79:2,7	114:19 115:7	228:9 230:1	scientist 98:5 143:6
ruined 205:5,6	86:1 87:8 94:12	116:16,17 117:5,7	sands 191:21	scientists 64:4
rule 150:6	106:3 111:19	117:8,9,14,15,17	218:15 219:9,13	108:3 189:15
rules 140:8,9	112:19 113:9,12	117:22 118:3,6,17	Sandy 247:2	Scotia 112:13
250:19	113:13,14,20	119:8,14 121:15	Santa 258:11	screen 35:4
run 8:18,21 180:4,8	115:4,20 116:6,21	122:3,6,8 123:16	satisfaction 187:12	scripture 162:1
180:13,21 184:17	120:1,6 121:5	124:3,6,7,9,12,14	satisfied 80:8,15	scrutiny 167:13
193:21 268:1	122:21 123:1	124:16,21 125:6	Satyrn 247:3	second 53:19 60:22
running 15:11,12	124:19 130:19	129:17 130:2,3,5	save 257:19	62:10 63:17 65:9
23:20 103:10	131:5,9,17 132:2	130:8,12,13,17,22	saved 64:18	71:22 87:1 89:7
147:13 172:11	132:4,10,17,19	131:2,5,7,8,11,12	saw 67:18 182:7	89:13 90:10 91:5
180:6	133:5,8,20 139:21	132:4,6,7,16	202:12 205:13	105:16 118:6
rupture 19:20	144:12 150:4	134:3,9 135:16	216:20 221:1	121:6 127:2,4
32:19 37:9 235:18	151:11 153:12	136:2,4 137:3,19	241:2	132:5 142:6
ruptured 25:11	155:15 161:9	138:5 139:6 141:5	Sawicki 4:15 239:8	146:17,21 153:11
30:9 34:7	171:5 191:1,4,12	142:5,19 146:15	239:10,11,14,16	166:20 182:10
rushed 242:16	192:21 195:10	147:22 148:1	240:20 241:10	216:3 231:18
	199:16 200:1,13	151:9 153:15	244:8	232:20 236:4
	215:18 216:1	154:2 155:19	Sawyer 2:3 3:19	237:5,15 250:11
S	220:9 222:18	156:7 157:17	97:16 123:9,11,12	264:15 265:12
sack 164:5	224:14 238:1,2	166:15 167:7	Sawyer's 65:4	266:2 269:6
sadly 232:18 235:8	safest 72:3	168:5,8,12 169:9	saying 69:18	secondly 112:19
safe 8:22 10:7 17:7	safety 1:1 5:14,15	170:11,12,16	112:22 148:17	192:19 250:15
102:11 104:9	5:20 6:13 7:16	179:8,17 182:15	151:3 157:16	seconds 188:14
190:1 219:6	9:10,16 12:9 13:3	186:11,14,18	160:18 161:14,15	secret 104:17
safeguard 39:2	15:2 16:12,19	187:2,21 188:6	161:17 165:9	Secretary 225:22
40:15 49:18	17:15 26:9 35:21	192:11 193:16	195:15 208:14	section 22:15 27:15
safeguards 20:16	38:13 39:11 43:18	197:2,18 198:4,5	228:20 242:3	27:18 30:21 34:4
29:18 36:17 37:3	46:12 47:1,8,9,16	198:17 199:18,19	258:19	34:12 96:10
37:19 38:9 40:1,3	47:22 50:15,20,21	200:6,8,17 201:6	says 76:6 162:1	119:22 145:2
40:5,22 41:6,8	53:16 54:2 56:16	206:18 215:19,22	168:14 180:3	147:10
45:4,7,19 51:13	57:21 59:2,21	218:1,6 219:2,7	186:22 205:14	sections 8:8 22:7
52:20 54:8,20	61:18 63:14 64:12	226:14 227:2	270:4	28:6 145:9 153:11
55:17 84:16 86:3	64:22 65:20 66:6	230:3 233:15	scaffolding 24:9,19	sector 14:16 15:13
87:9 120:3	67:2,8,14 68:2,4,8	235:4 240:4 245:7	scale 202:18 203:1	16:13 140:11
safely 63:16 146:11	69:19 70:5,18	248:6 253:12	scenario 45:10	143:17 265:8,9
193:21	71:5,11 72:11,20	255:22 256:16	120:4	sectors 13:15
safer 8:20 20:14	73:4,6 74:20,21	262:14,22 263:20	scenarios 116:19	156:19
28:14 29:20 30:18	77:9 78:15,16,22	sake 231:5	scene 23:6,12	security 65:12
31:5,7,12,14,16	79:1 81:10,13	Salt 27:11	schedule 67:9	124:22
35:8 37:21 39:6	83:19 84:5,20	Sam 1:23 18:13	scheduled 145:21	see 6:1 7:3,9 10:16
41:14 42:2,8,14	86:13 97:22 98:14	93:11,21	school 70:9 89:9	12:7 13:20 16:12
42:19 43:5,14,19	98:19 99:5,15	Samantha 226:15	232:7 255:6	25:16 29:5 31:2
43:21 44:5,9,11	100:4,8 103:21	sample 33:22 34:5	257:14	33:5,21 34:5 35:3
44:18,20 45:5,20	104:4 107:17	34:13 93:13,14,18	schools 214:5	65:22 68:21 93:20
49:12,20 50:3	108:8,10 112:5	samples 125:17	220:14	124:1 144:17
52:1 53:2 55:4,7				

159:4 162:17,22 168:6 177:2,17 182:22 184:13 198:19 203:20 205:1 206:9 221:21 227:4 234:5 242:19 259:12 260:18 261:10 267:16 seeing 191:14,20 242:18 seen 26:12 30:7 32:17 68:19 157:22 189:17 239:22 258:21 sees 114:14 segment 23:2 27:21 28:11 Segundo 64:10 220:2 231:20 232:2 seismically 235:9 self-destructive 14:2 self-regulate 256:15 semblance 265:10 semi 55:1 Senator 73:12 80:22 81:2 Senators 66:18 141:4 send 127:17 163:12 188:22 225:2 241:15 senior 13:9 98:5 143:6 189:15 sense 193:13 263:7 sent 23:11 177:12 177:20 208:13 separate 22:5 series 7:15 serious 13:18 23:7 67:16 99:10,20,20 99:22 100:17 103:18 105:8 161:7 163:4 164:7	166:2 197:19 199:13 seriously 141:7 201:6 220:17 254:11 256:10 serve 65:10 157:14 169:3 served 247:21 service 5:5 28:8 63:3 234:14,15,17 235:3 services 125:21 129:22 152:15 sessions 262:20 263:1 set 7:10 63:10 100:13 132:8 176:20 270:10 sets 156:14 setting 74:5 142:18 settings 158:1 settle 250:2,3 seven 65:19 84:7 194:17,19 212:20 247:8 265:8 severe 145:12,20 174:19 250:16 severely 65:18 101:7,13 102:17 severity 99:21 shadow 79:20,21 79:22,22 80:2 shalls 215:21 share 10:1 74:22 89:5 108:4 110:10 170:15 shared 138:18 206:16 245:14 sharing 46:13 50:6 56:9 57:20 58:5 138:8,13 shed 65:6 Shell 140:15 179:18 181:2 shelter 70:11 75:7 126:6,9 128:1,3 128:10,11,19	202:16 Sheriff 126:21 Sherry 203:13 She'll 203:15,16 Shields 239:7 shift 222:9 shined 154:15 172:7 shop 263:21 shortcomings 126:10 129:5 shortcut 218:3 shortly 221:7 shortmanning 180:14 shortness 202:21 shoulds 215:20 show 21:6 93:21 143:12 166:6 245:22 246:6 showcase 80:5 showing 20:18 192:15 shown 30:6,20 31:21 32:4 33:1 42:17 shows 15:3 30:21 93:13 128:18 146:21,22 shut 23:16 28:16 48:17 91:4 101:21 109:4 150:11 162:17 228:20 230:9 237:16 265:19 shutdown 25:6 shutdowns 57:7,11 199:6,8 shutoff 23:2 shutting 23:8 168:2 229:1 sick 164:16 203:19 206:8,19 207:3 210:4 213:17,20 214:13,14 263:19 sickened 214:11 sickening 214:16	side 68:7 77:15,15 88:11 184:2 sidecut 22:16,22 27:13 28:5 29:16 30:7,12,22 31:18 33:11 34:7 35:1,5 35:7 37:10,13,14 37:17,19 38:3 39:4 41:12 43:10 48:6,9 49:2,6 51:19 145:1 sidecuts 22:6 sides 6:2 sigh 60:22 sign 139:15 signed 160:15 177:20 189:7 246:4 significant 28:5 56:4 71:14 significantly 32:18 silicon 27:8 32:14 32:19 33:9,15 34:10,18 35:13 107:10 similar 22:19 46:2 112:13 157:10 161:13 257:22 simple 107:11 simplification 114:10 simplify 134:6 simply 40:21 115:3 156:8 220:15 simulation 236:2 sing 178:7 singer 178:7 single 156:20 sinus 202:20 sir 225:16 246:4 siren 202:22 sirens 126:7 sister 110:1 sit 159:2 266:19,20 site 88:21 104:5 sites 82:3 sits 117:11	sitting 18:7 116:10 120:7 situation 23:6 88:19 92:12 102:2 160:2 194:16 209:19 210:9 249:19 260:20 six 12:17 15:22 52:6 60:7 83:2 99:12 125:16 180:11 223:5 247:8 size 104:20 229:3 Skinner 2:20 3:15 66:20 73:13 81:1 81:2,6,17 83:11 83:18 84:3,19 141:3 skip 251:9 sky 175:6 slap 229:12 237:6 slapped 63:4 slash 224:22 sleeping 203:4 sleepless 60:8 slide 30:21 31:21 32:4,17 146:21 slides 143:12 slogan 210:13 slower 30:15 small 15:20 22:11 23:7 24:6 49:11 82:16 146:1,4 165:1 254:14 Smith 2:5 3:21 97:21 139:6,8,9 140:13,19 141:1 141:14 smog 251:17 smogged 251:13 smoke 26:14 129:9 160:7 220:12 sobering 15:8 social 128:12,15 196:15 197:9 soften 245:4 soil 254:15,22
--	--	---	--	---

solutions 68:21	special 251:13	128:8 129:11	state 2:21,22 17:22	225:22 226:2
solve 173:19	specialist 166:15	130:7 171:22	20:11 44:22 52:8	234:11,14,16
196:13	specific 11:15	216:10 217:2,22	53:7,20 54:5,16	235:3 238:5
somebody 94:4	37:14 72:13	220:10 248:1,7	55:13 56:14 57:19	steels 30:15 31:5
someplace 176:21	132:16 185:10	264:10	58:3,11,18,22	step 21:19 43:17
son 70:8 232:2	191:12	staffing 83:12 84:3	59:18 61:17 73:14	86:6 258:15
song 178:9	specifically 133:9	84:14	81:18 83:14,18	261:17
soon 67:5 146:3	148:2 158:15	staff's 147:8 217:17	84:4 85:15 98:16	steps 18:3 137:21
256:2	specification	219:22 220:19	102:22 106:22	Steve 1:21 3:11
sophisticated 64:1	180:20	stage 5:9,10 119:17	110:1 112:14	4:11,19 18:12
sorry 76:7 189:13	specifications 43:1	stages 115:17	115:3 124:9,10	29:22 51:3 90:12
228:4 246:22	157:8	stainless 31:5	127:13 140:3	211:3,5 240:20
251:1 257:8	spectrum 121:2	Stake 179:16	152:11 155:4	246:19 256:20
sort 94:20 209:16	sped 48:8	stakeholders 10:18	160:17 190:17	257:2 263:14
243:12 261:1	spell 200:17 239:13	10:21 46:22 47:4	199:20 219:1	stipulates 255:21
264:3	256:21	48:4 110:20	227:12,14	stock 145:5 147:18
Soto 4:6 171:20,21	spelled 4:4	122:13 152:15	stated 42:22 81:13	148:5 149:2
sought 10:20 20:1	spelling 257:5	stakes 156:11	84:2	199:22 200:3
26:18	spend 203:21	stand 6:16 77:15	statement 60:14,16	216:7 219:5 220:7
sounded 161:22	243:20,22 249:18	205:7 211:16	69:10 205:14	stomach 175:4
163:20,21	spends 196:6 256:2	standard 23:10	statements 3:2,12	stood 78:1 150:8
sour 233:1 236:8	spent 11:12 17:16	85:17 142:18	4:23 20:22 60:13	240:11 264:22
236:12,19,20	82:22 106:21	168:13,20 169:2	219:11 245:22	stop 23:20 80:9,9
sources 218:20	121:4 122:5	169:13,16 170:10	states 1:1 2:4 38:16	80:15 149:17
Southern 81:7	spiel 242:2	170:20	49:14 97:20 114:6	170:19 207:5,6,7
189:19 190:8,10	spill 204:6 235:19	standards 99:16	116:3 131:13	210:14 223:14
191:7 217:8 218:9	249:15	100:5 101:1	134:2 135:10,20	236:20 250:9
218:18,21 219:14	spills 154:21	103:21 105:21	240:7 260:22	stopped 259:19
220:5 226:1	spin 233:20	195:10 233:4,6	statewide 65:21	stopping 23:9
so-called 186:17	spirit 164:12	standing 78:7	190:22 196:10	storage 131:13
Spanish 5:5	spoke 242:13	79:10 80:6 151:3	State's 67:2 154:19	133:12
speak 61:8 81:6	246:21	201:21 209:13	station 225:11	stores 164:21
114:21 134:20	spouse 76:4,4,6	standpoint 222:19	statistics 15:8	straight 31:20
139:2,10 141:20	spouses 76:10	260:16	status 54:3 66:22	straightforward...
168:5 173:6	spray 25:4	stands 77:18	stay 28:7 75:6	240:3
230:19 243:7	spread 25:12	260:10	204:4	straight-run 31:22
263:4 267:12	spreading 150:7	start 5:4 17:14	stayed 270:2	32:16
speaker 123:8	172:16	69:18 88:2 90:21	steel 11:6,7 19:10	Strategic 97:19
135:9 141:15	sprouted 261:7	112:22 147:2	26:21 27:2,5,6,22	strategies 105:21
143:5	Spruckerman	156:10 182:6	30:10,11 31:3,3,6	133:21 134:5,7
Spakerman 4:16	244:11	209:15 210:14	32:12,13 34:18	strategy 134:9
244:11,12,13	square 181:7	259:2 260:1,12	94:14 97:22 98:2	straw 76:1
speakers 247:14	staff 61:13 65:20	267:19	129:20 130:10	streams 22:3,4
speaking 60:21	66:1,8 68:13 69:5	started 25:4,10	139:7 141:17	strength 91:9
79:11 236:5	73:2,3 74:21	129:3 172:21	154:6 155:21	strengthen 78:22
240:12	81:10,13 82:14	starting 259:12	166:12,15 189:22	strengthened 140:5
speaks 179:5	98:13 126:22	starts 147:6	192:22 223:17	Strengthening

140:10	succeeding 26:17	72:9 129:14	111:5 118:18	206:11 207:9
stress 140:17	successes 156:16	159:21	126:12,13,19,22	221:15 235:5
218:13 220:6	successful 47:9	supervisors 2:15	127:1,11,17	246:1,5 249:20
strike 179:18	127:5	6:15 53:6 54:15	128:22 129:1	250:8 251:17
striking 100:16	successfully 128:3	55:12 59:3 69:12	138:1 140:20	252:19 267:21
strip 24:22	suddenly 25:3,7	72:8 125:2 130:20	170:22 192:21	268:14
strong 50:21 99:2	26:1	227:6	236:12 245:2	taken 33:5 72:18
101:9 111:4 113:3	suffer 77:7 220:11	supply 29:3,3	259:5,15	141:6 207:21
116:15 122:22	suffered 78:9 174:1	support 73:20	systematically	takes 21:20 76:4
196:4 245:9	228:18	140:1 141:1 144:3	36:15	tale 13:9
stronger 150:16	suffering 209:2	144:4,11 190:2,22	systemic 99:13	talk 94:6 95:15
259:20	sufficient 104:15	196:9 197:2	systems 17:5 29:20	142:6,16 148:10
strongest 71:5	sufficiently 37:5	supported 265:1	31:7,13 42:2,8,14	151:4 170:1
strongly 144:3	suggest 122:18	supports 144:16	42:19 43:6,15,19	181:22 185:14
struck 88:12	155:2 183:4	supposed 187:7	44:5,11,18,21	186:14 202:5
structural 91:12	186:21 188:7	suppression 117:16	45:5 46:8 49:12	204:18,18 211:18
231:14	208:5	sure 77:8,19 92:14	49:13 50:3,18	228:19 244:2
struggled 25:15	suggested 102:14	162:18 182:6	52:1 53:2 55:5,7	talked 45:3 95:4
193:16	suggests 62:2	199:2 207:15	55:15,21 64:9	175:21,21 191:14
studies 214:11,12	suit 242:1	239:7 243:9	67:4 71:12,20	196:18 234:19
236:2 240:1	sulfidation 8:11	267:22	111:6,19 117:17	237:22
study 73:8 212:13	15:22 20:3 27:1,9	surface 43:4 94:14	120:1 124:19	talking 161:8 164:8
212:14 214:19	30:8,9,19 32:11	surgeries 175:2	130:4,19 131:17	181:16,17 190:20
231:2	34:21 37:12 38:2	surgery 174:21	133:8,20 144:12	202:6 212:5 263:5
studying 152:13	48:16 49:5 62:15	surrounding	186:15 191:1,4,12	talks 96:10
stuff 134:21 172:5	92:13 114:14	125:16	215:19 216:1	tangible 61:22
182:12	153:9 154:9	surrounds 139:21	219:7 220:9	tank 131:17 235:15
style 253:5	166:20 220:3	Surveyors 112:10	222:18 224:14	235:20,21
Subcommittee	sulfide 234:15,17	susceptible 27:3	238:1	tanks 235:18,18
83:14,18	236:7,11 248:4	suspect 60:22	system's 209:18	tar 191:21 218:15
subdirector 98:3	sulfitic 147:14	suspected 172:5	S-A-W-I-C-K-I	219:9,13
141:16	sulfur 48:5,7 147:2	sustain 235:17	239:14	target 39:10 46:19
subject 13:5 106:16	147:3,11,16 164:2	sustainable 79:18		105:3
218:19 231:17,20	167:16,19 192:2	switch 147:18	T	task 11:13,17 85:14
255:19 256:7	216:3,4 218:15	swollen 178:6	table 3:1 4:1 5:16	85:20 86:6,21
submit 66:5 124:14	222:21	Sylvia 4:10,18	5:19 18:8,17	109:18 110:8
188:17,18	sulfuric 181:4	204:10,13 246:15	97:13	137:2 152:16
submitted 96:14	sulfur-containing	252:22	tackle 64:22 65:20	tasked 37:1
143:10	27:5	symptom 209:9	tailor 128:8	taught 84:13
substantial 11:12	summarize 94:2,8	symptomatic	take 8:19 13:8	taxes 252:11
17:17 149:5	99:6 101:4 143:11	248:14	33:19 60:21 78:11	teach 122:1
substantially 9:14	summarizing	symptoms 26:19	85:8 101:11	teacher 254:4
substitute 134:6	144:16	syndrome 76:4	121:22 148:12	Teachers 254:5,8
substitutes 83:9	summary 48:13	system 29:21 43:21	161:7 164:19	teaching 113:7
substitution 114:9	summer 19:17	49:20 50:15 57:1	173:1,10 179:12	team 1:19,21 3:6
114:12 146:20	Sunday 95:2	68:2,3 94:13	192:8 200:13	3:17 7:13 17:15
147:20	Supervisor 65:2	95:21 99:2 106:12	201:6 205:7 206:7	17:17 18:6,7,18

19:7,12,14 21:2 36:11 37:1,5,11 38:1,22 40:17 50:10 51:9,17 52:11 85:8,10 89:8 96:9 125:12 125:13,15,16,19 126:7 139:14 221:7,17 270:9 teams 62:6 126:3 team's 16:14 64:14 tearing 261:12 tears 242:14 technical 12:16 15:5 29:14 41:21 57:13 82:2 84:15 88:11 95:19 104:17 147:20 154:5 234:6 technically 81:19 technicians 23:14 technique 31:15 technologies 104:21 113:14 153:13 155:15 technology 79:2,7 199:16 200:1,14 tees 31:20 32:1 telephone 126:11 126:12,13,16 127:1,3 television 225:11 tell 77:14 78:12 122:14 190:9 193:20 231:6 232:15 245:15 telling 235:10 temperature 22:17 36:20 107:10 temperatures 27:6 114:16 temporary 23:21 91:16 ten 8:9 237:9 263:2 term 90:16 107:19 147:20 181:21 184:17 185:4,5	206:4 terms 74:5,6 183:19 184:3 186:19 187:2,18 195:18,19 222:16 245:5 terrible 13:21 17:21 148:16 terrified 211:15 terrorism 211:17 211:21 terrorizing 211:20 Tesoro 140:15 219:20 test 127:2,4 207:18 208:6,8,16,18 234:21 251:18 tested 33:16 testified 83:12 263:15 testify 135:4 testimony 143:10 testing 33:3,4 208:20,22,22 209:1 tests 208:7,7,20 Texas 17:22,22 18:4,19 68:12 84:12 89:8 154:11 159:13 167:7 181:2 191:7 211:11 231:19 240:18 258:7,8,9 text 127:14,18 128:15 thank 5:12 11:20 12:4,5 14:6,8,12 17:8,10 19:5 30:5 42:4 51:6 60:5,6 60:11,19 61:7,17 69:1,5,8,13 74:3,8 74:10,11,18,19 80:18,19 81:4,5,9 85:3 87:22 92:4 96:22 97:1,2 98:12 111:11,13 111:14,20 112:4	123:4,6,13 135:3 135:6 139:1,2,3,9 139:11 141:11,13 141:19 143:3,9,13 151:14,15 152:1,3 158:4,8,19 159:9 166:8,10 171:17 171:19 172:19 173:12 174:8,10 174:12 178:20,22 185:16 189:4,16 189:21 193:4,6,12 194:5,6 197:10,12 197:17 201:10 204:8,10 210:22 215:7,9 216:10,19 217:22 218:10 220:17,20,22 221:9,16 222:1 224:16,18 225:14 226:8,9,17 228:1 228:3,7 229:20 230:14,18 237:14 238:16 239:5,6,12 244:8,10,14 245:19 251:1,3 252:20,21 253:17 253:22 256:18,20 257:7 260:2,5 262:9,10 267:1,3 268:6,8,22 270:5 270:8,12 thankful 97:5 204:21 205:9 thanks 89:17 98:16 189:21 201:9 216:17 245:16 268:4 270:1,1 theme 223:3,15 themes 222:13 theories 149:16 theory 162:18 180:6 they'd 62:18 249:7 265:20 thick 28:7 thicker 93:1	thickness 32:7 33:3 33:12,15 43:3 89:20 90:1,3,17 90:19 91:1,6,11 92:2,9,22 93:3,4,5 93:6,17 183:11 234:22 thin 30:8,15 31:3 32:17 48:19 63:1 92:18 93:14 147:14 181:9 thing 9:11 87:5 88:12 91:19 92:7 93:11 161:18 162:6 165:8 175:18 176:10 177:8 182:10 187:6 188:3,8 203:10 210:21 223:11 227:17 229:13 230:7 243:17 244:4 245:8,12 252:8 265:12 268:16 things 70:19 82:6 86:8 87:6,9,11,16 92:3 107:21 149:18 150:18 153:7 161:15 162:2 173:20 176:16 178:18 179:12,19 183:7,8 184:10 186:20 188:1 194:15 196:17 201:20 208:11 215:15 241:14 244:1,20 249:16 253:15 261:12,17 263:5 think 8:3 12:8 14:14 65:21 68:5 70:14 73:22 76:3 86:5,20 87:15,18 87:21 89:18 90:11 94:17 95:2,4 97:3 102:13 108:9 116:17 133:18	134:13 135:1 137:17 142:8 148:3 152:4,20 153:17 157:9 158:10 173:20 182:5 183:1,12 184:10 185:10 186:15,18 194:14 198:1,8,12,16 200:7 202:1 207:12 214:8 216:20 221:1 225:10 232:22 233:16,19 236:17 242:22 243:1,2 245:21 250:4 253:14 257:17 258:5,15,16,20 259:1,1,3,9,11,22 261:19 262:18 263:5 264:8 thinking 134:19,21 135:1,2 245:4 thinned 22:22 24:7 26:22 thinner 34:8 thinnest 92:16 thinning 27:15 28:5 34:6 93:13 third 62:21 91:19 118:13 129:16 206:6 216:9 231:20 Thirdly 107:17 183:18 thirds 178:3 Thirty 188:14 thorough 20:16 29:17 66:9 69:21 73:5 98:14 119:1 123:17 136:18 137:5 152:4 226:18 260:18 thoroughly 54:9 114:11 145:15 thought 133:18 244:20
--	---	--	---	---

thoughtful 137:5	261:11 262:5,7,8	tools 9:6 40:12 45:8	69:22 74:7 104:13	turnaround 28:2
thousand 16:21	265:14,22	45:17 46:6 120:17	110:13 111:2,8	62:8 63:8 64:16
201:22	timely 53:14 105:1	120:17,21 196:5	138:12 155:11	91:18 92:18 95:22
thousands 83:1	155:18	top 63:5 117:11	156:1,6,10 200:20	96:3 145:22 266:4
146:5,6 252:10	times 81:15 83:3	136:2 147:22	201:1,4 217:19	turnarounds 57:6
threat 154:1	101:15 104:5	188:11 216:14	223:3 245:13	82:5 101:15 105:3
164:22 218:14	105:2 147:15	topic 115:4 121:6	transparent 9:20	119:17 265:18
threatened 61:20	152:19 203:15	total 84:8	73:4 170:8	turned 209:14
threats 248:10	218:20 223:5,7	totally 79:5 160:12	transportation	tweak 170:20
three 83:3 85:21	224:15 238:20	touch 86:4 138:11	21:15	Twenty-four
91:2 92:1,3	239:3	touched 94:8	trapped 25:22	177:11
101:12,15 125:8	tip 24:5	155:22	traveling 226:9	twice 242:11
146:7 153:7,14	tired 207:15 221:11	tower 21:22 22:1,5	Treasurer 225:22	Twitter 128:12
177:8,12,17	242:19 243:8	22:12 23:4 25:10	treat 208:3 209:8	two 24:10,14,18
180:11 204:5	266:21	232:4,7,9,9	216:21	25:19 34:3 63:15
206:3 215:14	title 107:21	towering 26:11	treated 75:4	71:10 89:17 93:6
231:10 236:16	today 6:4 7:3 10:12	towers 231:17	treatment 20:1	93:14 112:15
247:7,15 269:18	18:5 68:11 71:21	tower's 22:15	26:18 177:21	143:11 144:10
threshold 36:2	74:22 77:10,18	toxic 83:22 160:7	178:2	146:3,9 175:2
tie 120:19	78:10 79:14 81:6	168:16	tree 120:18,18	177:17 178:3
ties 242:1	82:13 135:4	toxicity 208:9	tremendous 258:15	179:19 204:4
Tillema 1:21 3:9	151:18 161:15	Toxics 159:11	Trevor 31:9 114:2	231:10 234:13
18:7,11 19:1,5	201:18 204:15	247:20	114:4 115:6,22	235:7 247:7 253:7
29:12 85:18 87:4	211:8 238:14	toxins 208:11	tried 24:1 167:11	263:5
89:3 90:6,11 92:4	242:18	track 126:2 186:19	195:18 252:9	type 27:3 38:11
94:1,7,22 222:3	today's 123:14	trade 104:17	triggered 55:22	48:2,10 86:17
timber 257:22	told 164:1 177:1,7	115:10	tripartite 170:14	87:20 91:21
258:1,3	177:19,22 194:17	Trades 129:21	Trombetis 19:12	105:13 107:9
time 11:12,12	197:5 206:11	traditional 227:3	troubling 65:15	127:21 138:3
17:17 27:4 31:4	208:12 232:2	tragic 219:8	truck 251:12 252:7	163:18 234:14
61:8,13 63:17	233:4	trained 82:10	true 99:3 116:16	235:17
67:17 70:13 75:10	tolerate 66:1	191:16 266:17,18	148:18 171:4	types 140:5 205:19
82:20 83:3 95:1	Tompa 187:4	266:18	255:15	typically 32:9
102:10 105:14	tonight 5:5 12:13	training 82:15	truly 219:6	Tyranny 255:13
106:21 121:4	13:7 20:9 68:5	83:13 84:15 89:9	trust 150:21	
122:1 129:13	81:15 86:8 135:15	95:14 118:20	truth 196:3 241:6	U
158:10,22 162:14	136:1,10 144:8	179:9 185:9	try 23:17 90:16	ultimate 8:13
163:21 166:17	146:16 158:5	trajectory 157:3,11	91:7 185:11 225:4	ultimately 14:2
167:18 170:19,21	170:1 172:4 173:8	157:11	233:20	27:16 30:9 33:17
172:14 182:16	190:11 211:9	transcript 225:7	trying 88:17	35:12 80:2 81:16
185:15 188:21	217:5 218:12	transforming	170:19 172:15	111:7
191:19 201:22	221:13 223:4	79:16,16 156:19	174:2 193:16	unable 25:16 82:18
203:21 207:5	226:17,21 230:20	translation 5:5	210:10 244:2	187:9
228:10 233:9	231:1 233:10	translators 5:6	Tupper 2:4 3:20	unacceptable 66:22
249:5 250:8,16	234:3 258:10	transparency 47:2	97:19 135:9	unanimously
251:8 253:8,14	Tony 265:13	47:6,7 48:3,10	turn 18:22 30:3	269:18
256:21 259:11,22	tool 31:11 39:17	50:7 56:10,19	42:1 51:2 204:2	unanswered 65:1

uncertainty 70:12	44:12 48:17 51:17	upsets 36:19	<hr/> V <hr/>	violation 103:21
undefined 170:6	56:3 65:20 71:14	upstream 33:8	v 185:7	169:12
underemphasized	75:14 83:20 101:6	urge 64:22 181:13	vacuum 131:15	violations 73:15
198:10	107:2 144:20	200:16 222:7,16	vague 200:10	99:20 100:17
underfund 196:10	162:17 168:2	230:3 254:2	Valero 191:20	visit 29:1
undergraduates	180:8,16 195:6,9	256:17	219:12,20	visuals 93:7
122:4	237:17,20 261:14	urgency 198:9	valuable 16:11	vital 54:8 136:17
underlying 167:2	unite 267:21	urgent 7:16 52:3	valve 23:3	vocal 178:6
underneath 24:13	United 1:1 11:6,6	53:19 144:11,17	valves 131:16	voice 204:14,16
176:8	15:2 19:10 38:11	146:13,16 154:4	vapor 7:17 8:5 22:1	vote 4:22 7:21 21:4
underresourced	38:16 97:22 98:2	192:18 198:11	24:12,15,15 25:8	246:1 268:12
65:19	114:6 116:1,2	261:22 262:3	25:12,20 26:11	269:9
underscored 106:1	129:20 130:10	urgently 144:6	61:21 88:14,19	voted 73:11
understand 75:16	135:20 139:7	219:1	131:16	votes 269:18
100:20 107:18	141:17 154:6	urges 144:7	variation 34:5	vulnerability
119:11 136:16	166:11,15 211:6	USA 52:3 53:18	variety 179:12	124:22
160:10 178:17	240:7 254:5	usage 116:12	various 22:2	V-I-L-A-Y-N-G-...
227:14 232:3,15	260:22	use 6:1 8:20 12:22	vast 82:20	228:5
236:1	units 64:5 82:10	13:20 42:14 43:7	Venezuela 165:20	<hr/> W <hr/>
understanding	180:14 261:16	50:16,19 54:22	vent 25:11	Waco 84:12 211:11
15:21 16:10 38:2	universally 148:4	55:4,15 70:20	vents 117:15	214:21
225:10	university 2:2 11:3	71:12,20 72:1	verification 54:12	wait 28:9
understands 80:8	97:15 98:8 111:17	87:7 90:17 102:8	106:17	waiting 84:17 88:9
136:16	114:20 151:20	105:11 106:13	verified 54:9	191:22
understood 77:20	152:10	113:10 115:19	versed 169:9	wake 76:10,10
undertake 136:17	unknown 33:17	117:1 118:11	version 31:10 96:8	walking 178:5
137:22	unnecessary 150:3	134:3,5 156:22	171:14	wall 26:8 30:7 41:3
undertook 137:21	191:9	164:4 167:18	versus 94:20	43:2 93:16 147:9
unfinished 68:10	unquote 63:16	181:21 185:4	vessel 43:1	147:14 234:21
unfortunately 81:6	unsafe 109:1	196:5,12 256:6	Vice 97:19	walls 22:21 181:8
182:22	149:20 268:1	usefulness 117:21	Victoria 4:15 239:8	want 29:5 61:6,10
union 98:2 102:6	unusually 26:13	USGS 235:10	239:10	66:18 67:4 68:20
129:21 141:18	upcoming 57:10	usually 32:3 91:17	video 3:9 21:6,8	69:1 79:15 86:7
142:1 154:7	121:14	180:15 204:16	29:10 30:6 100:19	86:11,15,20 87:18
170:15 257:10,12	updated 36:14	USW 2:5,6 139:11	221:19 224:19	89:6,13 98:16
263:2,3	255:16	Utah 27:11 154:11	241:2 263:16	99:7 104:1 106:20
unionist 267:15	upgrade 16:2 35:1	utilize 86:7	269:5	107:22 109:9,17
unions 265:7	223:8	utilized 86:14	view 12:11 121:16	111:1 112:4 136:1
unique 10:13 13:12	upgraded 31:14	87:14 234:12	166:18 222:19	138:10 140:16
103:2 106:9	35:7 41:12 43:11	U-S-C-S-B 224:22	viewing 34:4	142:6,16,21
182:12,13	167:14	U.C 2:9 152:8	views 12:13	148:14 158:4
uniquely 102:19	upgrades 223:12	231:12 257:17	vigorous 137:20	163:10,12 164:19
unit 8:9 9:10 14:18	upgrading 39:5	U.S 5:13 20:11 52:6	Vilayngeun 228:4	166:2 173:12
19:20 20:6 21:20	upheld 264:15	58:8 59:7 81:13	Village 253:2	175:20 177:16
22:9 23:8,17,19	upper 243:13	87:2,17 157:1	violate 163:13	181:10 184:12
24:8 25:7 28:2,16	upset 154:20	226:13 227:2	violated 240:4	188:7 189:15
37:8 40:20 44:10	180:18	233:14	violating 164:12	

190:21 192:1	134:18,19,22	249:17	113:1	182:6 245:4
194:4,6 197:17	135:1,16 155:19	weren't 161:18	wholly 248:5	worded 42:11
199:21 204:18,19	170:7 174:3,3	164:3 195:16	widely 45:13	words 80:21 148:14
205:7 215:16	176:9 195:6	212:1 241:19	widespread 114:8	243:8,9
217:22 218:10,13	196:16 197:3	West 17:22 18:4,19	115:19	work 40:5 46:8,21
218:16 220:17	203:16 204:18	61:22 143:22	Widess 2:2 3:18	47:14 53:11 57:5
221:9,16 222:14	206:8,14 219:21	159:10 240:18	97:11 98:10,11,12	57:14 60:7 61:15
225:18 226:1	222:8,10 243:1,12	247:20 258:7,9	108:15 111:14	65:6 68:11 72:13
227:4 229:11	243:22 244:18	Western 2:4 97:20	156:13 212:18	73:12 81:11 86:10
243:20,22 244:4	249:21 252:6	135:10,20	widget 166:20	86:12 89:11 90:13
244:14 251:10,18	260:16 264:10	Westling 19:14	Wigmore 4:8 179:1	109:22 110:4
252:1 261:3	ways 29:20 87:12	we'll 29:9 33:19	179:2,3 185:18	114:1 123:19,20
263:14 267:18,19	100:7,20 106:3	148:18 159:4,4	187:17 188:16,20	125:2 135:8
wanted 172:19	110:9 208:1	212:12 224:3	189:2	136:15 141:22
178:8 182:10	weaken 38:5	we're 29:2,7 50:11	wilderness 238:13	143:19,20 150:15
192:20 193:12	weakened 219:4	71:2 76:22 77:1	willful 99:20	158:4 165:12
195:3 233:3 263:4	wealth 259:5	80:3 112:3 136:10	224:10	168:9 171:13
264:3 267:10	wear 5:8	150:12,15,16,20	willing 216:12	182:15 184:16,22
wants 81:9 89:15	wearing 261:12	164:7,18 173:18	willingness 61:15	184:22 186:12
191:20 240:12	weather 262:5	174:18 175:10,11	Willis 4:19 247:1,2	187:4 207:2,14,15
warn 114:20	web 128:22 190:13	175:14,14 178:18	260:6,8,9 261:10	210:4 226:18
warning 126:19,22	webpage 128:11	179:19 181:15,17	Wilmington 190:15	229:21 233:11
127:10 128:8,22	website 8:2 121:16	182:3 191:14,15	217:9,10 219:10	245:17 258:14
warnings 13:2	225:3,8	191:15,19,22	Wilson 2:9 3:22	260:2 263:9
154:5 182:19	Wednesday's 84:11	192:12 196:13	18:21 98:6 151:19	265:20
warranted 23:8	week 83:11 95:4	197:16 207:21	151:21,22 153:4	worked 10:22
Warren 229:18,19	96:7,9 100:9	209:2,5 210:9,10	157:22 158:9	125:21 126:5
230:11	160:7 177:22	211:9 213:14	248:9	139:15 141:21
Washington 6:12	weeks 72:18 177:8	221:10 235:11	win 264:8	190:6 191:3
260:17	177:12,17 225:8	242:19,19 244:1	wind 250:1	230:21 241:5
wasn't 75:10 76:16	weight 93:20	255:7 258:10	Wingard 18:20	262:13,15 263:17
92:9 95:20 96:7	welcome 3:2 5:13	263:5	wisdom 270:3	266:3
194:11 235:1	7:1 69:18 71:9	we've 29:3 45:3	wise 97:6	worker 99:10
249:21 265:20	171:12	72:17 76:3 86:8	witnesses 26:7	109:13 111:9
waste 205:16,18	weld 34:2	87:6 89:10 93:3	woman 240:14	142:9 156:2 180:3
252:12	welds 32:3	95:2 101:8 152:19	241:21 242:13,14	187:18 223:15
watch 207:11	well-being 9:2	155:7 159:2	243:1 263:17	226:2 258:10
247:15	175:10	169:22 176:18	women 136:15	workers 8:22 11:6
watching 190:12	well-funded 224:5	178:19 183:2	won 264:14	11:7 12:17 13:11
water 24:21 25:2	well-resourced	198:16 210:5	wonder 88:1 103:7	13:17 19:11 24:9
208:12 263:21	105:12	218:8 223:16	253:10	26:9 28:19 61:20
waves 160:3	went 16:21 87:10	242:6,7 258:21	wondered 89:1	65:13 68:8 73:1
way 8:6 9:20 23:4	96:8 136:18	261:15 262:1	wonderful 77:8	75:5 84:5 97:22
25:17 53:14 68:4	141:22 175:6	whip 64:19	270:6	98:2,19 101:2,18
68:5 79:17 81:12	177:18 202:5,10	whistle 263:11	wondering 88:15	101:19,20,22
86:18 90:15 93:2	202:12,19 203:3	white 26:11	88:17 265:13	102:6 103:5,16
110:2 134:3,8,17	213:8 232:9	wholeheartedly	word 181:6,15,16	104:4,4 107:15

108:11,12 109:1,3 109:8 110:17 112:1 129:21 130:10 139:7,18 140:15 141:17 149:22 150:7,22 154:6,22 155:12 155:21 162:16,19 163:1 166:12,15 172:12 173:17 179:6,17,20 182:20 187:9 189:22 193:1 197:5 198:18,20 199:7 211:6,7,14 213:7,9 216:14 218:8,21 223:17 223:18,20 225:22 230:12 238:5 240:5 243:3,4 249:2 257:11 258:2 262:16,21 263:12 265:6,16 266:6 267:14,21 268:2	168:8 230:2 Worksafe 179:4 world 111:18 148:17 149:16,19 180:2 215:5 232:22 257:11 264:20 267:14 worldwide 114:5 138:2 world-renowned 89:9 worn 102:18 worried 66:12 worry 265:2,11 worse 241:14 250:1 worsened 25:3 worth 137:17 wouldn't 223:1 266:5 wreaked 75:11 wrist 229:13 237:6 write 85:21 184:9 writes 121:20 write-up 88:12 writing 184:3 written 20:7 66:4 115:15 121:9,17 143:10 168:18 169:2 188:17 255:20 wrong 136:19 169:6 193:20 242:6 wrote 183:20 201:20 257:20	years 13:13 14:18 15:19 22:21 28:9 35:10,14 36:4,14 43:9 44:16 62:20 62:22 68:20 75:13 83:2 101:8 103:1 113:22 125:9 141:22 142:1 143:14 152:9 154:4 156:21 157:3,8 161:12 172:6 173:10 174:1,21 177:3 182:14 189:17 190:7 191:8 193:15 195:2 209:17 210:8 212:13 223:5 229:14 230:22 232:17 235:2 236:9 239:22 253:7 254:5 255:12,17,18 259:19 261:4,7 year-old 256:8 yellow 32:1 33:20 yesterday 18:2 YHWH 204:22 young 240:11 youth 240:12 YouTube 221:20 224:22 YouTube.com/U... 224:20	1,000 83:6 1,000,000 100:9 1,600 65:21 194:18 194:20 1,665 84:9 1.4 264:14 10 12:16 15:19 18:1 21:11 35:10,14 44:16 58:15,21 62:22 101:8 154:4 191:8 202:18 203:1 223:5 236:9 239:22 246:4 261:4 100 7:9 14:18 33:2 62:13 95:20,22 165:19 167:20 174:1 210:8 232:9 255:18 259:19 11 59:11,18 111 3:19 113 202:8 12 3:4 144:18 145:9 261:7 266:20 12th 94:18 137:16 12:00 207:14 123 3:19 12898 160:16 164:13 135 3:20 139 3:21 14 3:4 22:14 75:21 175:6 262:2 266:20 141 3:21 143 3:22 15 31:4 84:8 203:15 15th 154:18 15,000 10:19 19:22 26:17 75:4 202:5 151 3:22 158 4:2 159 4:5 16 116:7 229:3 160 213:6 166 4:6 17 3:6	171 4:6 174 4:7 179 4:8 18 116:4 213:6 189 4:8 19 3:8,9 19:21 25:13 28:19 88:13 241:2 19th 1:10 1902 21:14 238:12 238:19 193 4:9 1949 185:7 1968 181:1 197 4:9 1972 185:19 255:20 1973 179:18,22 1974 34:18 114:3 1976 14:19 26:22 1980 15:4 1980s 236:3 1989 75:21 146:22 257:15 1990 75:21 1991 160:6 1992 36:4 1998 147:17 1999 70:8
workforce 13:4 47:18,20 50:9 56:12 57:16 191:16 192:22 working 24:12 46:10,20 50:6,11 56:8 66:20 67:1 84:20 129:11 130:7 136:21 140:10 141:9 170:20 171:1 182:18 190:8 200:22 206:20 215:2 231:15 236:5 259:8 worklists 57:12 workplace 13:16 67:2 139:21 workplaces 104:10 187:3 works 83:20 111:7 117:5 159:11	<hr/> Y <hr/> yards 64:6 232:10 Yeah 92:11 162:16 year 8:9 12:16 31:4 50:12 69:14 73:9 83:6 106:17 142:2 144:21 147:1 175:6 179:21 183:10 195:7 232:5,6 247:19 265:19	<hr/> Z <hr/> Zeltzer 4:11 211:4 211:5,6 212:5,9 213:4,12,22 214:18 215:7 240:20 263:15 zero 136:9 zone 101:18	<hr/> 1 <hr/> 1 56:22 98:3 141:16 144:18 145:1 202:18 203:1	<hr/> 2 <hr/> 2 57:8 144:18 145:9 202:19 203:3 2,000 63:2 261:15 261:15 262:1 267:20 2,900 21:13 20 36:4 144:19 212:13 200 264:9 200,000 232:22 2000 228:16 2002 27:12 62:7 95:15 101:15 2005 150:5 2006 15:4 2007 75:15 82:8 101:16

2009 27:20 40:20 95:18 96:19 116:5	126:8 143:14 152:9 161:12	60 3:13 640 22:17
201 4:10	177:3 188:2 189:6	675 226:1
2010 264:13	201:21 217:14	69 3:13
2011 28:3 62:8 64:15 95:22 101:16 206:22	255:5 30th 100:7 30,000 202:11	<hr/> 7 <hr/>
2012 1:5 22:8 27:16 75:22 96:11	300 64:6 32 90:2	7 235:13 7:00 207:1
2013 1:10	322 93:16	7:15 207:2
204 4:10	34 247:19	70s 255:1
21 3:9	35 113:22 182:14	71 209:17
21st 78:14 80:5	35,000 202:12	74 3:14
211 4:11	350 204:14	754 142:7
215 4:12	38 102:22	7870 171:8
217 4:12	<hr/> 4 <hr/>	<hr/> 8 <hr/>
221 4:13	4 57:18	8 22:13 229:3
225 4:13	40 62:20 156:21	8:00 207:2
226 4:14	157:3 235:2	80 48:6
228 4:14	255:12,17 256:8	81 3:15
23 99:19	400 63:2	85 3:17 217:15
230 4:15	41 154:19	87 251:11
239 4:15	42 3:10	<hr/> 9 <hr/>
24 177:11	450 181:6	9 58:15,17
244 4:16	460 26:4	9,000 236:13
247 4:17	49 96:6	9-Chrome 31:5
25 99:19 141:22 157:4 165:20 189:17 195:6 201:21 230:22 232:17	<hr/> 5 <hr/>	90 34:8
250,000 21:17	5 2:5 3:3 11:6 97:22 129:21 139:8,11 140:14	90s 190:7 191:6 247:22
251 4:17	50 15:3 83:4 114:22	94 34:10
253 4:18	156:22 214:2,6	97 3:18
254 4:18	51 3:11	98 3:18
257 4:19	<hr/> 6 <hr/>	99 147:17 228:16 258:17
260 4:19	6 1:5 202:17	
262 4:20	6th 15:18 19:17	
267 4:21	20:19 21:7 22:8	
268 4:22	32:20 33:18 34:15	
269 4:23	36:5 46:4 48:14	
270 4:24	61:20 75:2 98:21	
<hr/> 3 <hr/>	104:1 125:14	
3 57:15	126:11 154:17	
3:50 22:9	159:20 228:13	
30 3:10 13:13 90:10	248:14	
	6:30 1:13 5:2 25:19	