

UNITED STATES OF AMERICA

+ + + + +

CHEMICAL SAFETY AND HAZARD
INVESTIGATION BOARD

+ + + + +

DPC ENTERPRISES, INC.

+ + + + +

PUBLIC MEETING

+ + + + +

FESTUS, MISSOURI

+ + + + +

THURSDAY
MAY 1, 2003

+ + + + +

The Board met at the Holiday Inn Express, Grand Ball Room, 1200 Gannon Drive, Festus, Missouri, at 9:00 a.m., Carolyn Merritt, Chair, presiding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

I-N-D-E-X

Welcome and Introduction 3
 Carolyn Merritt

Report on DPC Enterprises, Inc. 9
 Charles Jeffress

Incident Profile 11
 John Murphy

Incident Description 16
 Giby Joseph

Key Issues 25
 Giby Joseph

Root and Contributing Causes 35
 John Murphy

Recommendations 56
 John Murphy

Public Comment 63

Board Discussion and Vote 82

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1
2 MS. MERRITT: Good morning. I'd like to
3 welcome all of you. We're very happy to see the
4 turnout that we have here this morning to this public
5 meeting of the U.S. Chemical Safety Board.

6 To begin, I'd like to let you know that
7 there are a number of exits in the event of a fire.
8 These exits on the side do go to the outside, just
9 down these halls and outside. So in the event of a
10 fire, now you know where to go.

11 Also, I please ask you to turn off your
12 telephones and pagers so that we're not interrupted.
13 I'd appreciate it.

14 Also, I extend a welcome to those of you
15 who are watching us live on the Internet. We're being
16 Webcast as we speak from the agency's website,
17 www.csb.gov.

18 And I'm Carolyn Merritt, and I'm the
19 Chemical Safety Board chairman. With me this morning
20 are also our board members. There's Dr. Jerry Poje,
21 Dr. Irv Rosenthal, Dr. Andrea Taylor, and Mr. John
22 Bresland. And to my left is Charles Jeffress. He is
23 our chief operating officer. And Chris Warner is our
24 general counsel. And we welcome all of you.

25 Our main business today will be to review

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 the staff's findings and recommendations on the August
2 14, 2002, chlorine release at the DPC Enterprises
3 facility here in Festus.

4 Following the report, and questions by the
5 board to the staff, we'll proceed to a public comment
6 period and possibly to a board vote on the report and
7 recommendations after that. We've scheduled also a
8 press conference here at eleven-thirty to recap the
9 day's activities.

10 The Clean Air Act directed that the board
11 would investigate chemical releases that cause public
12 deaths or injuries, as well as those with serious
13 potential to harm the public. The chlorine hose
14 failure at DPC was a serious event that released 4800
15 pounds of chlorine and threatened hundreds of
16 residents. If the wind had been blowing in any other
17 direction than it was that morning, this would have
18 been a much more serious event than it was.

19 Our job at CSB is to raise the level of
20 awareness to the causes of such an event and to help
21 to prevent this from happening again here or anywhere
22 else in the country. We work to prevent accidents by
23 making their causes known and issuing safety
24 recommendations to many different parties.

25 Anyone using braided metal hose for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 transfer of hazardous materials should pay attention
2 to this event. Preliminary findings show that the
3 initial cause of the release was the rupture of a
4 chlorine transfer hose. As a result, the CSB issued a
5 safety advisory back in December, asking chlorine
6 users around the country to verify that their transfer
7 hoses were constructed from the correct materials.

8 We're not aware of any other incident like
9 this one, which leads us to believe that this was an
10 isolated failure. But it is an important wake-up call
11 to all people who handle hazardous materials.

12 But the hose rupture is really just one
13 aspect of this incident. And today we'll spend much
14 of our time looking at the broader issues that
15 complicated this incident.

16 Companies handle thousands of tons of
17 chlorine safely every day in this country. To do so,
18 they depend on various layers of protection to prevent
19 events like the one at DPC or to minimize their
20 impact.

21 One such layer of protection is to verify
22 that materials of construction for hoses and other
23 equipment are suitable for the use that is intended.
24 Another layer of protection is to have functioning
25 emergency shutdown systems to minimize any leak that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 might occur. In this case, CSB found that automatic
2 emergency shutdown valves failed to close, allowing
3 the chlorine leak to continue for three hours.

4 Fire departments and hazardous materials
5 units are also a layer of protection. They have a
6 very important role to play. Where large amounts of
7 chlorine and other chemicals are stored, emergency
8 responders need to be prepared for the possibility of
9 a release. Rapid response, along with training and
10 planning, can be the key to protecting the public in
11 the event of a chemical incident.

12 Those are some of the major issues that
13 we'll be hearing about today. Following the staff's
14 report, the board will ask questions of the
15 investigators. And then the public will be invited to
16 comment on the incident, on the report, or on the
17 recommendations. We will not take questions of the
18 staff or the board, but you are welcome to comment.

19 A few ground rules for the public comment
20 period: If you wish to offer a comment, we ask that
21 you register outside so that I have a list of the
22 people who want to speak and also I have your names
23 spelled correctly and, hopefully, I can pronounce them
24 correctly when I introduce you.

25 Your comments should be no more than three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 minutes long. And we will provide a light here so
2 that you'll see if you're coming to the end of your
3 time. And if you plan to offer comment, please be
4 sure to tell the staff. And we'll be ready to take
5 those comments, we hope, after our questions from the
6 board.

7 Depending on what the board hears today,
8 we may then proceed to a vote on the report and the
9 staff's recommendations. The full report will be
10 posted on our Website in about a month on www.csb.gov.

11 Now, after the public meeting, we have
12 scheduled a press conference for about eleven-thirty,
13 right here in this room. Members of the public are
14 welcome to observe the press conference, but we'll
15 only be able to take questions from accredited
16 reporters.

17 Are there any other opening statements
18 from any other board members this morning?

19 MR. POJE: Yes, Madam Chair. I'd like to
20 make a few opening remarks. Thank you for your
21 comments.

22 I'd like to acknowledge that today is
23 celebrated internationally as Labor Day, and I want to
24 honor all of those who have labored hard to help
25 themselves, their families, and their economies in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 their local communities and their societies through
2 their hard labor.

3 This week, though, also marks what is
4 commonly understood in our society as Worker Memorial
5 Day, where we do recognize the toll that's still had
6 in many occupations where people actually give their
7 lives on the job. And, unfortunately, too many
8 workers still remain at risk.

9 On average, based upon the latest
10 statistics from the Bureau of Labor Statistics, 16
11 workers were fatally injured and more than 14,000
12 workers were injured or made ill each day during the
13 year 2001.

14 Now, it's a toll that we have to do our
15 utmost to reduce. But I would like to say that the
16 board, in its work that began this January, has had to
17 visit a number of very serious incidents that have had
18 fatalities.

19 In January, we were at the BLSR facility,
20 at which three workers were killed as they were trying
21 to unload very hazardous cargo, unbeknownst to them
22 how hazardous that it was, and a fire and explosion
23 occurred, taking three lives.

24 Later that month, we visited West
25 Pharmaceuticals, in Kinston, North Carolina. And, at

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that incident, an explosion occurred, and a fire
2 precipitated ultimately the fatalities at six people
3 at that facility.

4 And, at CTA Acoustics, in Corbin,
5 Kentucky, we are now investigating an incident which
6 has claimed the lives of seven workers at a facility.

7 And, just a week or so ago, we had an
8 investigation into a facility in Louisville in which
9 another worker was killed.

10 This toll is extraordinarily high in the
11 history of the board's investigative work. I honor
12 the staff and the board members in our commitment
13 toward safety, but I think all of us should recognize
14 we can do much more to save lives and protect those in
15 our communities.

16 MS. MERRITT: Thank you. Are there any
17 other comments? Then, with that, I'd like to turn the
18 meeting over to Charles Jeffress, who will introduce
19 the staff and begin the presentation.

20 REPORT ON DPC ENTERPRISES, INC.

21 MR. JEFFRESS: Thank you, Chairman
22 Merritt. When an incident such as this occurs, the
23 Chemical Safety Board dispatches from our headquarters
24 an investigation team to investigate the incident on
25 site. That same team then stays with the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigation, doing interviews of people affected,
2 doing research into the particular type of accident
3 that occurred, the type of equipment involved, does an
4 analysis, works with trade associations and others
5 throughout the industry to talk about what can be done
6 to prevent accidents, and then produces their report
7 and presents that report for the board's approval.

8 Today, the team that did the on-site
9 investigation will be presenting that report. John
10 Murphy was the lead investigator on the team. Giby
11 Joseph was the second investigator. The two of them
12 are with us today.

13 One comment before John begins: Some of
14 you may have been present earlier at a presentation in
15 Festus, Missouri, in the City Counsel chambers, when
16 John Bresland, a board member, made an interim report
17 to the community on the progress we were making on
18 this investigation. That occurred back in -- when was
19 that? It occurred this winter. I can't remember the
20 exact date that it occurred. But that represented an
21 interim report to the community. This represents the
22 final report of the staff to the board for their vote.

23 John Murphy, please, the lead
24 investigator, will you offer the report.

25 INCIDENT PROFILE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. MURPHY: Thank you, Mr. Jeffress, and
2 good morning. Madam Chair, board members, and Mr.
3 Jeffress and Mr. Warner, this morning, Giby Joseph and
4 I will be presenting to you for your consideration the
5 findings, causes, and recommendations of the
6 investigation of the August 14, 2002, chlorine release
7 that took place at the DPC Enterprise facility in
8 Festus, Missouri.

9 Other team members included investigators
10 Johnny Banks, Angela Blair, and recommendation
11 specialist Doug Bell. Doug Bell is not going to be
12 with us today, so I will be handling the
13 recommendations.

14 I will be presenting what happened,
15 background information and causes, and
16 recommendations. Giby Joseph will present the
17 incident details and key findings.

18 What happened: On Wednesday, August 14,
19 2002, a major chlorine release occurred at DPC
20 Enterprises chlorine repackaging facility in Festus,
21 Missouri. A chlorine transfer hose failed
22 catastrophically. This is the hose that failed.

23 Chlorine was being transferred from a
24 railcar into containers. County HAZMAT responders
25 shut off the release. Here you can see the responders

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 walking through the chlorine cloud, climbing the
2 railcar ladders to shut off the release.

3 This large uncontrolled release of
4 chlorine gas resulted in 66 people being medically
5 evacuated and hundreds of people sheltering in place.

6 Adequate quality assurance in the hose supply chain,
7 adequate mechanical integrity at the DPC repackaging
8 facility, and adequate emergency planning could have
9 prevented or mitigated the impact of this incident.

10 What were some of the consequences of this
11 incident? As Madam Chair has pointed out,
12 approximately 4800 pounds of chlorine gas were
13 released over a period of approximately three hours.
14 This resulted in 63 people in the community being
15 medically evaluated due to release. Also, adjacent
16 businesses and residences around the facility had to
17 evacuate their homes and businesses.

18 Hundreds of people at the local hospital
19 and other community establishments had to shelter in
20 place for over four hours. Interstate 55 shut down
21 for an hour and a half. Employees at the DPC
22 facility, three workers attempting to clean up the
23 remains of the chlorine release, were also exposed to
24 chlorine vapors.

25 Why did the Chemical Safety Board

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigate this incident? First of all, this
2 incident had potential catastrophic off-site
3 consequences. If the wind direction had been toward
4 the mobile home park, many people may have suffered
5 adverse health effects.

6 Another reason why the board investigated
7 is because chlorine is widely used and distributed in
8 the United States, and there is a potential for other
9 incidents to occur. Twelve-point-seven million tons
10 of chlorine are produced in the U.S. each year. There
11 are approximately 20 companies similar to DPC in the
12 chlorine repackaging businesses. Chlorine is used in
13 the manufacture of insecticides, bleach, PVC plastic,
14 and water treatment chemicals.

15 Early in the investigation, we established
16 key questions that had to be answered:

17 -Why did it take nearly three hours to
18 shut off the release?

19 -Why did the chlorine transfer hose
20 rupture?

21 -Why did the emergency shutdown valves not
22 close?

23 This led us to looking at three key
24 issues: mechanical integrity, emergency management,
25 and chlorine transfer hose supply. We will be talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 about each one of these issues in detail.

2 What are some of the important
3 characteristics of chlorine? Chlorine is a
4 green-yellow gas at ambient temperatures. It has a
5 bleach-like odor. In fact, it is used in the
6 manufacture of bleach. It is heavier than air. This
7 is important because this makes a cloud of chlorine
8 stay close to the ground, where it can potentially
9 affect people. It is also transferred as a liquid and
10 under pressure in transportation such as tank cars.

11 Some other important characteristics of
12 chlorine: Chlorine can contain various levels of
13 moisture. Most chlorine used in transport from
14 production facilities is dry chlorine. Dry chlorine
15 has less than 50 parts per million water content at
16 ambient conditions. Dry chlorine can be safely
17 transported through carbon steel pipe as a material of
18 construction. However, if the dry chlorine becomes
19 wet chlorine, chlorine becomes very corrosive to
20 steel. This is important because chlorine repackaging
21 facilities are primarily constructed out of steel
22 pipe.

23 What are some of the potential health
24 effects of chlorine? It depends. The health effects
25 of chlorine depend on two things: the concentration of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 chlorine, and also the time of exposure to chlorine.
2 At low concentrations, one to three parts per million,
3 chlorine can irritate the mucous membrane. At
4 intermediate levels, 35 parts per million for example,
5 it can cause immediate chest pain, vomiting, and
6 coughing. At high concentrations, over 1000 parts per
7 million, there can be death within a few minutes.

8 I want to acknowledge that air sampling
9 was not done during the release, so it was not known
10 to what concentration people were exposed. However,
11 dispersion modeling was done by the Chemical Safety
12 Board, and it indicates that chlorine concentrations
13 producing adverse health effects may have extended
14 greater than three miles from the release site. This
15 is a concentration below three parts per million,
16 assuming a one-hour exposure. However, it's important
17 to understand that dispersion models are only
18 approximations of how a release might act.

19 A little background on the Festus site: It
20 has been an industrial site since the forties. DPC
21 bought the facility in mid-1998 and put capital into
22 the facility to upgrade it from both a production and
23 safety standpoint. I'd also like to mention that DPC
24 is a member of the Chlorine Institute and follows the
25 Chlorine Institute recommended practices for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 operations and safety.

2 DPC Enterprises is part of the DX
3 Distribution Group. It is a privately-owned company,
4 and it operates 17 repackaging facilities and
5 warehouses.

6 With that, I would like to now turn the
7 presentation over to Giby Joseph to present the
8 incident description and key findings of the
9 investigation. Giby?

10 INCIDENT DESCRIPTION

11 MR. JOSEPH: Thank you, John.

12 Today, I'll present details about the
13 incident, as well as the CSB findings from the
14 investigation.

15 This is an outline of what I'll talk about
16 today. I'll start by describing the events that took
17 place on the day of the incident, then provide some
18 background into the chlorine repackaging process,
19 transfer hose construction, and the emergency shutdown
20 system at Festus. I'll also briefly talk about the
21 emergency response activities that took place on the
22 day of the incident, then talk about the analytical
23 results from the testing conducted after the incident.

24 But my main focus is going to be to
25 discuss the findings that arise from the investigation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 into key issues, which again are mechanical integrity,
2 emergency management, and chlorine transfer hose
3 supply.

4 Employees began chlorine transfer
5 operations about six-thirty a.m. Around nine a.m.,
6 employees place the repackaging system on standby and
7 take their morning break. At approximately
8 nine-twenty, employees hear the chlorine detection
9 alarm sound. And when this happens, they start
10 looking around the repackaging building for leaks.
11 Employees see a large chlorine cloud rushing into the
12 building through an open door used to access the
13 railcar unloading stations.

14 Seeing the huge cloud, employees
15 immediately evacuate the building and the facility.
16 Now, the plant manager, on the way out, presses an
17 emergency shutdown button. This should have shut off
18 the release, but it didn't. The facility also had
19 breathing apparatus and other emergency response
20 equipment, on which employees were trained, to shut
21 off uncontrolled leaks. But the equipment was left
22 behind in the building and became inaccessible after
23 the facility was evacuated.

24 Now, this is an aerial map of the
25 community surrounding the Festus facility. DPC-Festus

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 is right here. At the time of the incident, the winds
2 were light and variable, coming from the west. I just
3 want to orient everybody; west is right here. And so
4 the majority of the chlorine cloud went across Highway
5 61, over two nearby businesses: Goodwin Brothers and
6 Intermodal Tire Services. And then the cloud
7 dissipated along the Platinum Creek Valley.

8 Several employees that worked at Goodwin
9 and Intermodal Tire were exposed to chlorine. Also, I
10 just wanted to point out Blue Fountain Mobile Home
11 Park, which is at a close proximity to the facility.
12 The source of the release I approximate to be around
13 150 feet from the nearest mobile home park. So,
14 fortunately, the mobile home park was upwind of the
15 release, and this limited the number of exposures.
16 But several people from the mobile home park did go to
17 the hospital.

18 The family-owned Almany Farm is just north
19 of the facility. Jim Almany was exposed to chlorine
20 and also went to the hospital. In all, 63 people from
21 the community sought medical evaluation at Jefferson
22 Memorial Hospital for chlorine exposure. They
23 exhibited a variety of symptoms from runny eyes and
24 coughing to severe difficulty breathing. Three were
25 held overnight for observation, but were released the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 next day.

2 Also, I just want to point out, I-55,
3 which is less than half a mile from the facility, like
4 John said earlier, it was shut down for an hour and a
5 half, from nine-forty-five to eleven-fifteen.

6 Now, Jefferson Memorial Hospital is about
7 a mile north of the facility, just off this map. And
8 it was sheltered in place for over four hours.

9 Now I'll try to provide a better
10 understanding of what operations take place at the
11 DPC-Festus facility. Basically, what happens is, the
12 facility takes chlorine from large railcars and then
13 puts them into smaller 150-pound or one-ton
14 containers. This is a part of the chlorine
15 repackaging facility at Festus. Ninety ton, or
16 180,000 pound, chlorine railcars are brought into the
17 facility, then attached by chlorine transfer hoses to
18 one of three unloading stations. I just want to point
19 out here at this time that only one railcar unloading
20 station is used at one time.

21 So the dry liquid chlorine in the car is
22 then transferred through the hoses to the plant
23 piping, and then to the containers. The containers
24 are then taken or loaded onto trucks and distributed
25 throughout the St. Louis metro area for use.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The incident occurred at this spot, which
2 is station number three. Facility production records
3 indicated that this car had about 80,000 pounds of
4 chlorine just prior to the incident. There was also
5 three other cars on site, but these cars were not
6 involved in the incident.

7 Now, this is a closer view of the
8 attachment configuration of the car to the unloading
9 station. Each station has three chlorine transfer
10 hoses. The middle one is used to bring air into the
11 vapor space of the railcar, which helps to push out
12 the liquid chlorine out the two other hoses to the
13 plant. The arrows just indicate the flow of air into
14 the car and liquid chlorine out to the plant. The
15 hose on the left is the one that ruptured and
16 initiated the release.

17 Next, I want to focus in on the hose and
18 its proper construction. The keyword here is
19 "proper." The proper materials of construction of the
20 hose are as follows: It has a plastic inner liner made
21 out of Teflon through which the chlorine flows. It
22 has an outer layer made out of Hastelloy. And this
23 metal layer provides pressure containment, which
24 basically means it keeps the hose from rupturing. And
25 also the hose has a heavy-duty spiral guard, which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 provides abrasion protection.

2 The two most critical components of this
3 chlorine transfer hose are that plastic inner liner
4 and the structural braid layer made out of Hastelloy
5 metal.

6 Since chlorine, in very, very small
7 amounts, permeates, or seeps, through the plastic
8 inner liner, you need to have the right type of metal
9 layer that can resist chlorine and maintain structural
10 integrity of the hose. Like John said earlier, not
11 all metals are suitable for chlorine service,
12 especially when moisture is present.

13 Now, this photo is not an exact
14 replication of the hose used at DPC, but it's very
15 similar. This is only one end of the fully-assembled
16 chlorine transfer hose. The other end also looks
17 identical. These are the end fittings that are used
18 to connect the hose to the railcar and the plant
19 piping. And also you can see the spiral guard, as
20 well as some of the metal structural braid.

21 After DPC bought the facility in '98, some
22 improvements were made to the repackaging process.
23 These improvements include replacing a majority of the
24 plant piping, replacing all the chlorine transfer
25 hoses at the railcar unloading stations, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 implementing an emergency shutdown system to mitigate
2 leaks. This figure indicates the critical components
3 of the facility ESV system, or emergency shutdown
4 system.

5 Each of the unloading stations had five
6 emergency shutdown valves, three on the railcar side
7 and two on the plant side. And the system also has a
8 chlorine detector.

9 Now, the ESV valves, or emergency shutdown
10 valves, are supposed to close when the monitor detects
11 chlorine over ten parts per million or when an
12 employee presses one of the several shutdown buttons
13 located throughout the facility. The manager pressed
14 this button here as he exited the facility. Both the
15 chlorine monitor and the button were activated during
16 the release, but neither mechanism was able to shut
17 off the release. And we'll discuss why this happened
18 later on in the presentation.

19 Now I'll discuss the emergency response
20 activities. Before I do that, I'd just like to commend
21 the Jefferson County volunteer HAZMAT team members for
22 safely shutting off the release, although it did take
23 them some time to arrive on scene. But that matter
24 we'll leave to later on discussion on community
25 emergency management. Also, I'd like to commend the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 local R-7 fire department and other fire departments
2 that participated in the incident response.

3 Around nine-thirty a.m., the plant manager
4 notified 9-1-1 of the release as he was exiting the
5 facility. He also notified other parties required by
6 law, such as the National Response Center, the
7 Missouri Department of Natural Resources, and the U.S.
8 Environmental Protection Agency.

9 However, there were no community sirens or
10 other alert systems to notify businesses and residents
11 surrounding the facility. This we found severely
12 hindered the emergency response, especially the
13 evacuation efforts. This will also be highlighted
14 when I talk about the emergency management issues.

15 The local Jefferson County Fire
16 Department, R-7, arrived on scene within ten minutes.

17 Since the Blue Fountain Mobile Home Park was adjacent
18 to the Festus facility, R-7 firefighters immediately
19 began to notify residents there to evacuate.

20 A reconnaissance team was sent into DPC,
21 Goodwin Brothers, and Intermodal Tire to search for
22 employees. But all employees had evacuated by then.

23 Because of the magnitude of the release,
24 the R-7 fire chief immediately notified 9-1-1 for
25 mutual aid from other fire departments and to initiate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Jefferson County HAZMAT deployment. Evacuation
2 activities at Blue Fountain Mobile Home Park continued
3 on for over an hour.

4 Before I talk about this slide, I just
5 want to remind everybody again that the incident began
6 around nine-twenty. And the Jefferson County HAZMAT
7 duty officer was notified of the release by 9-1-1
8 around nine- forty-five. When he got the page, he
9 called the R-7 fire chief to get a better
10 understanding of how many response personnel were
11 needed for this incident.

12 I just wanted to add here again that the
13 HAZMAT unit for Jefferson County is made out of all
14 volunteer personnel, so most of the team members were
15 at their regular jobs when the incident occurred. A
16 page was sent out to all the HAZMAT team members at
17 approximately ten o'clock. And as those of you who
18 live here know, Jefferson County is a fairly large
19 county. It has an area of 660 square miles. So it
20 took some of the HAZMAT team members over an hour to
21 get to the incident scene.

22 HAZMAT team members arrived on scene over
23 a 30- to 75-minute time period. A majority of the
24 team was assembled by eleven-fifteen and starting
25 necessary planning and preparation activities. A

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 four-member team was chosen to make site entry. This
2 team entered the site by noon and shut off the release
3 by twelve-twenty.

4 Now, the reasons why it took nearly three
5 hours to shut off the release will be discussed again
6 as part of the emergency management issue.

7 John and I arrived on scene Thursday,
8 August 15. Now, we were on site for about a week,
9 collecting data, interviewing facility employees and
10 various members of the community. Over September,
11 October, and November, various tests were conducted
12 including materials testing of the ruptured hose and
13 torque testing of the emergency shutdown valves.

14 KEY ISSUES

15 MR. JOSEPH: The end results from these
16 tests and other research allowed us to identify
17 critical areas to examine in greater detail. These
18 include the hose supply chain, the DPC mechanical
19 integrity program, and the emergency management issues
20 both at the facility and the community level.

21 The key analytical findings from the
22 investigations were that the ruptured hose was
23 constructed of a stainless steel structural braid
24 layer rather than the required Hastelloy metal.
25 Corrosion products were found within the emergency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 shutdown valves, and this buildup impeded the
2 emergency shutdown valves from closing.

3 Now, before I discuss how the stainless
4 steel hose was mistaken for Hastelloy, I want to give
5 some background into the normal supply chain for the
6 chlorine transfer hose used at DPC-Festus.

7 Since April 2000, Branham had been the
8 sole supplier of chlorine transfer hoses to
9 DPC-Festus. I also want to point out that DPC
10 corporate headquarters in Houston places all transfer
11 hose orders with Branham. But these orders are sent,
12 or these hoses are sent directly from Branham to
13 Festus. So there's no middlemen in between. The hose
14 is sent directly from Branham to DPC-Festus.

15 Branham buys Hastelloy braided hose, or
16 raw hose, Hastelloy braided raw hose, and other
17 components like the spiral guard and the end fittings
18 from Crane Resistaflex in bulk. And what Branham does
19 there is, they take the raw hose and cut it to lengths
20 specified by DPC, and then put on the spiral guard and
21 the end fittings.

22 Now, Crane has been the sole supplier of
23 Hastelloy braided transfer hoses to Branham. But I
24 just want to mention that stainless steel raw hoses
25 were supplied by Crane and several other hose

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 manufacturers to Branham. I just wanted to make that
2 clear.

3 So why did the hose rupture? Like I
4 stated earlier, testing showed that the ruptured hose
5 had a stainless steel structural braid layer. Now,
6 stainless steel is not resistant to chlorine in the
7 presence of moisture, and that's why it corrodes.

8 So we examined how stainless steel braid
9 could get confused for Hastelloy. We found that both
10 raw hoses look identical. And this photo indicates
11 that. But, Madam Chair, I can bring you up two
12 samples if you would like to see a closer examination.

13 We did visit Branham and Crane Resistaflex
14 to observe quality assurance practices on the hoses.
15 And from our investigation into the supply chain, we
16 determined the following:

17 First of all, we ruled out a mixup at DPC.
18 One, because chlorine transfer hoses are sent
19 directly from Branham to Festus, and also because
20 DPC-Festus does not use stainless steel hoses with
21 similar dimensions for any operations within the
22 facility. And also what we found was the shipping
23 certification from Branham that accompanied the
24 ruptured hose, or the hose that ruptured, indicated
25 that it was constructed of a Hastelloy braid. Now we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know that, in actuality, it was constructed of
2 stainless steel.

3 We also found that Branham relied solely
4 on visual verification and had no testing procedures
5 prior to shipment to ensure they were supplying the
6 right hose to DPC.

7 These two facts led us to conclude that
8 Branham sent DPC the incorrect hose. But we were
9 unable to determine if Crane Resistaflex was involved
10 in the hose mixup that caused Branham to send DPC the
11 incorrect hose. In our visit to Crane, we found that
12 they did have several quality assurance practices and
13 procedures to ensure proper hose identification. But,
14 again, the key finding out of this slide and out of
15 our investigation regarding the hose supply chain is
16 that the stainless steel braid and the Hastelloy
17 braided hoses are not visually distinguishable.

18 The next question we had to answer was why
19 DPC was unable to determine the hose was incorrect
20 prior to installation. Now, we found that DPC relied
21 on the shipping documentation, which we now know was
22 wrong, to confirm the order. Also, the hose
23 dimensions looked similar to past hose shipments. So
24 based on visual inspection and shipping documentation
25 review, employees thought they were getting the right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 hose and put the hose into service. Thus, another key
2 finding was that DPC relied solely on visual
3 verification and had no testing procedures to ensure
4 they were receiving the correct hoses.

5 We issued a safety advisory after the
6 incident at Festus that asked chlorine handlers to
7 verify the hoses that they had in service were
8 suitable for chlorine transfer, because, at that time,
9 we didn't know the extent of the problem.

10 Next question: What's the source of the
11 corrosion that caused the emergency shutdown valves to
12 fail? We identified that moisture intrusion into the
13 chlorine piping system prior to the incident caused
14 the corrosion. We identified the pad air dryer system
15 at the tank car unloading assemblies as potential
16 sources through which moisture was introduced into the
17 liquid chlorine piping.

18 Now, once the system was corroded, some of
19 the corrosion products migrated to the valves to cause
20 the buildup and failure. I just wanted to make that
21 clear. The valve itself didn't corrode. Some of the
22 products from the piping migrated over to the valve,
23 and that's what caused the valves to fail.

24 Now, this slide just gives a detail view
25 of the valve. The valve ball mechanism is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 internal mechanism of the valve which allows the flow.

2 Corrosion product had built up around the valve ball
3 area, right here. So, when this actuator supplied air
4 pressure to the valve ball to close it from open to
5 close, it would not turn, leaving the valve open, thus
6 allowing the chlorine to continue to flow through it.

7 Why did DPC not recognize that there was a
8 corrosion problem within the piping system? Well,
9 this question led us to focus on DPC's mechanical
10 integrity program.

11 Mechanical integrity ensures that critical
12 process equipment and components are designed,
13 fabricated, installed, inspected, tested, and
14 maintained to preserve their original integrity.

15 Our investigation found the following
16 deficiencies in the DPC mechanical integrity program.

17 I'll give an overview of these findings, but our
18 report will discuss them in much greater detail.

19 First, we determined, from a review of
20 DPC's standard operating procedures, that not enough
21 detail was present for employees to carry out adequate
22 preventive maintenance, inspection, and testing. For
23 example, there were no testing and inspection
24 procedures to verify the emergency shutdown system
25 would operate as designed.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Second, the facility manager at Festus had
2 been with DPC only about nine months. Now, he had no
3 prior chlorine repackaging experience. The level of
4 training he received on the job by DPC was not
5 sufficient to adequately supervise activities such as
6 maintenance, testing, and inspection.

7 Third, our interviews with some of the
8 packaging employees indicated that they did not have a
9 full understanding of the importance of keeping the
10 piping system free of moisture.

11 The other key issue we focused on was
12 emergency management. We felt that emergency
13 management, which is the process of preparing for,
14 mitigating, responding to, and recovering from an
15 emergency, was an issue, because it took nearly three
16 hours to shut off the release, and 63 people in the
17 community needed medical evaluation.

18 We feel both the facility that handles the
19 chemicals and the communities in which they are
20 located share the responsibility for emergency
21 management.

22 Emergency response plans outline how
23 various aspects of emergency management are addressed.

24 So we looked at both emergency response plans for
25 DPC-Festus and Jefferson County.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 One thing I want to make clear before I
2 talk about our findings regarding the DPC plan is that
3 we don't question the decision to evacuate the
4 facility and request community emergency response
5 assistance. Our focus is on evaluating elements of
6 DPC emergency management to identify those elements
7 that need improvement in terms of preventing exposures
8 and reducing mitigation time for future releases.

9 We identified the following deficiencies
10 in the DPC plan.

11 First, lack of clear guidelines and
12 mechanism for community notification, like a community
13 alert system. Although the local authorities have the
14 primary responsibility to notify the public of an
15 emergency, the company shares some responsibility to
16 notify neighboring residences and businesses like
17 Goodwin Brothers, Intermodal Tire, and, of course, the
18 Blue Fountain mobile home park.

19 Next, the plan did not outline the
20 responsibilities for the facility emergency response
21 personnel. For example, no one was assigned the
22 responsibility to collect emergency response equipment
23 or notify neighbors and nearby businesses. The DPC
24 plan, further, had no timetables or schedules for
25 training and drills. Our interviews with facility

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 personnel reiterated that DPC did not conduct training
2 and drills on a regular basis. Obviously, training and
3 drills can improve emergency preparedness and
4 coordination.

5 Proper storage and location of emergency
6 response equipment was not addressed in the plan
7 either. Placement of emergency response equipment in
8 various locations, rather than in one, would improve
9 accessibility.

10 And, finally, the DPC emergency response
11 plan included no guidelines for post incident cleanup
12 of hazardous materials. This led to the exposure of
13 the three workers during cleanup operations.

14 In 1986, Congress passed the Superfund
15 Amendments and Reauthorization Act, or SARA. It was
16 designed to establish a national baseline with regard
17 to planning, response, management, and training for
18 chemical emergencies within a community. Title III of
19 this legislation, EPCRA, or Emergency Planning and
20 Community Right-to-Know Act, requires the
21 establishment of both state and local planning groups.

22 The Jefferson County Local Emergency
23 Planning Committee, or LEPC, includes members from
24 various local emergency response authorities such as
25 fire, police, and HAZMAT, and members of private

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 industry. The LEPC works with Jefferson County
2 Emergency Management Agency, or EMA, in planning and
3 preparing for emergencies. The EMA is part of the
4 Missouri State Emergency Response Commission.

5 The EMA is responsible for writing the
6 community emergency response plan. We examined the
7 Jefferson County emergency planning and preparedness
8 and found the following areas in this plan needed
9 improvement.

10 One, the plan had not been updated since
11 1996. Although the old owner was listed, DPC was not
12 included in the plan since DPC did not own the
13 facility until 1998.

14 Further, the plan did not include methods
15 and schedules for training and drills, which test plan
16 coordination among local response authorities.

17 Finally, like I said earlier, local
18 authorities have the primary responsibility to ensure
19 the public can be notified of an emergency in a timely
20 manner. We found that the community notification
21 mechanism was not adequate. Evacuations of nearby
22 residents took over an hour. Coordination between
23 local authorities and DPC- Festus was not sufficient
24 to ensure timely community notification and relief
25 mitigation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Madam Chair, that concludes this part of
2 the presentation. At this time, we will answer
3 questions on the material presented so far.

4 MS. MERRITT: I think what we're going to
5 do is go ahead and go onto root causes. And then
6 we'll take questions following your root causes and
7 contributing causes.

8 MR. JOSEPH: That's fine.

9 MS. MERRITT: Thank you. Thank you, Giby.

10 ROOT AND CONTRIBUTING CAUSES

11 MR. MURPHY: Root causes are prime reasons
12 why an incident occurred. If eliminated, the incident
13 would not occur. Root causes are often deficiencies in
14 management systems. With that, I'm going to read the
15 root causes that the staff has proposed for this
16 investigation.

17 The first root cause: The DPC quality
18 assurance management system did not have adequate
19 provisions to ensure that chlorine transfer hoses met
20 required specifications prior to installation.

21 The second root cause: The DPC testing and
22 inspection program did not include procedures to
23 ensure that the process emergency shutdown system
24 would operate as designed.

25 The third root cause: The Branham

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Corporation quality assurance management system failed
2 to ensure that the chlorine transfer hoses met all
3 customer specifications.

4 Contributing causes are physical
5 conditions or management practices that facilitate an
6 incident. With that, I will read the contributing
7 causes.

8 The hose identification system of chlorine
9 transfer hose manufacturers was inadequate to visually
10 distinguish similar-looking structural braiding
11 materials of construction such as Hastelloy C and
12 stainless steel.

13 The DPC Enterprises mechanical integrity
14 program failed to detect corrosion in the chlorine
15 transfer and pad air systems before it caused
16 operational and safety problems.

17 The system of notifying the community of
18 chlorine release was inefficient, which resulted in
19 additional exposure to neighboring residents and
20 businesses.

21 The DPC emergency preparedness planning
22 was deficient. Jefferson County emergency
23 preparedness planning was deficient.

24 This concludes the causes. Madam Chair,
25 I'll just go on and read the recommendations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: We'll go ahead and take
2 questions now.

3 MR. MURPHY: You want to take questions
4 now? Okay.

5 ** QUESTIONS

6 MS. MERRITT: I open it to the board for
7 any questions to the staff that you might have.
8 Please, Dr. Taylor.

9 DR. TAYLOR: One of the questions I'd like
10 to ask, Gibby, you mentioned that, when the workers
11 left, they were on break when they saw the chlorine
12 release?

13 MR. JOSEPH: That's right.

14 DR. TAYLOR: And the emergency equipment
15 was left behind. Was it left behind because it was
16 inaccessible? Or where was it?

17 MR. JOSEPH: Well, it was left behind
18 because, one thing, it was not in an organized manner.
19 Another thing, they left in a hurry. So there was no
20 one assigned to pick up this equipment, so no one
21 thought about picking up the equipment because no one
22 was assigned the responsibility for this equipment.
23 So that's the two reasons.

24 DR. TAYLOR: Had they been trained in how
25 to use the equipment, but it was just not --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JOSEPH: Yes, they were trained on how
2 to use their equipment to shut off uncontrolled
3 releases. But, like I said, again, no one was
4 assigned the responsibility to pick up the equipment
5 as they left the building.

6 DR. TAYLOR: I see.

7 MR. JOSEPH: But once they left the
8 building, they couldn't get access to it again because
9 the chlorine cloud had filled the whole repackaging
10 building. Okay?

11 DR. TAYLOR: Okay. Then I just have one
12 other question, and it's regarding the corrosion
13 products inside the valve ball. And I'm a little bit
14 confused on, if you have the chlorine transfer hose
15 that has the Teflon inner lining, where is the
16 corrosion actually coming from, again?

17 MR. JOSEPH: From the piping within the
18 plant piping.

19 DR. TAYLOR: I see.

20 MR. JOSEPH: Not the hose itself.

21 DR. TAYLOR: Okay.

22 MR. JOSEPH: The plant piping is the one
23 that had corrosion because of the moisture.

24 DR. TAYLOR: And that piping is metal, and
25 that's moisture from the chlorine?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JOSEPH: That's right. That's made out
2 of carbon steel. It had some moisture intrusion from
3 the pad air dryer system or the tank car unloading
4 assemblies, and that caused the corrosion mechanism to
5 occur. The corrosion mechanism occurred. The
6 corrosion products traveled through the plant piping
7 to the ESV valve ball area. And the buildup just
8 impeded the valves from closing when air pressure was
9 supplied, asking it to close.

10 DR. TAYLOR: Okay. Thank you for that
11 clarification.

12 MS. MERRITT: Yes, Dr. Poje.

13 DR. POJE: Yes, I'd like to ask a question.
14 I'm interested in, you said that you visited
15 manufacturers, you looked at quality assurance
16 programs. What kind of elements go into quality
17 assurance programs in the construction of braided
18 materials like this? And are there many
19 manufacturers? And do manufacturers, not just of
20 chlorine, which probably has to deal with cold
21 temperatures, high pressure, special hazardous
22 materials, are there other high-hazard transfer hose
23 materials that have quality assurance programs with
24 this issue?

25 MR. JOSEPH: Sure. Let me try to break up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 your question. I think the first part was quality
2 assurance. I think some of the techniques that you can
3 use for quality assurance are positive material
4 identification, which is you can use like an x-ray
5 fluorescence technique to shoot a ray onto the hose
6 structural braiding. And it can tell you if it's
7 Hastelloy, stainless steel --

8 DR. POJE: Is that a destructive --

9 MR. JOSEPH: It is not a destructive. It's
10 a nondestructive. But they also have destructive
11 testing, which you take a piece of the hose and put it
12 into an acid bath. If it's stainless steel, it will
13 corrode. If it's Hastelloy, it won't.

14 DR. POJE: So did you use that kind of
15 testing to ascertain that the hose was stainless as
16 opposed to Hastelloy?

17 MR. JOSEPH: Well, I don't really -- I
18 mean, which part? The manufacturer or --

19 DR. POJE: No. With our testing of this
20 particular hose. You used similar kinds?

21 MR. JOSEPH: Yes, we did.

22 DR. POJE: And how available is that? Is
23 that specialized equipment only at one place?

24 MR. JOSEPH: Well, it depends if you want
25 to buy it or you want to rent it. If you want to buy

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 it, it's about \$30,000 for the equipment on PMI. And
2 if you want to rent it, it's about \$200-\$300 per day.

3 MS. MERRITT: Are there other questions?
4 Mr. Bresland?

5 MR. BRESLAND: Getting back to the impact
6 of the chlorine release on the people who lived in the
7 neighborhood, on the people who were working in the
8 neighborhood. As I recall, you said there was not any
9 measurements -- there were no measurements taken of
10 the chlorine concentration?

11 MR. MURPHY: That's correct. As the event
12 was unfolding, that's correct.

13 MR. BRESLAND: But there was mathematical
14 modeling done to estimate what the chlorine
15 concentrations would be?

16 MR. MURPHY: Yeah. The CSB did some
17 modeling using a DEGADIS model, which is appropriate
18 for heavy gas dispersion modeling. And we plugged
19 into it the weather conditions at the time. We
20 assumed some worst-case stability. And as I said in
21 my presentation, in a three-hour period,
22 concentrations that could produce adverse health
23 effects went out to approximately 3.7 miles. As I
24 said, these dispersion models are all approximations,
25 and you have to take them as just estimates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRESLAND: And the people who live in
2 the mobile home park and the people who work across
3 the street, how far away are they?

4 MR. MURPHY: Oh, they're probably, would
5 you say --

6 MR. JOSEPH: We're talking about feet, not
7 miles.

8 DR. TAYLOR: You said 150 feet, right?

9 MR. JOSEPH: Yeah. From the release
10 source, it's about 150 feet to the nearest mobile
11 home. And it's probably about another 100 feet across
12 Highway 61 to Goodwin Brothers and Intermodal Tire.

13 MR. MURPHY: The modeling showed that,
14 probably within 30 minutes, concentrations that could
15 cause adverse health effects probably reached the
16 mobile park area. Like I said, this is not
17 measurements. This is just modeling. And it's an
18 approximation. But it's useful to get some idea of
19 what the consequences may have been.

20 MR. BRESLAND: Now, when you say "adverse
21 health effects," what do you mean for somebody who's
22 150-200 feet away?

23 MR. JOSEPH: It depends on the
24 concentrations they were exposed to. And without
25 sampling during the incident, it would be difficult to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 actually tell you what exact concentrations they were
2 exposed to. It would still be very difficult.

3 MR. MURPHY: The number we used to
4 determine the toxic end point is called the ERPG2
5 level --

6 MS. MERRITT: What does that mean?

7 MR. MURPHY: That means it's a level that
8 people can, if they stay within that concentration for
9 one hour, they could suffer adverse health effects.
10 And it's not further explained. That's just a
11 definition. I can't go on beyond, explaining what
12 adverse health effects may be.

13 DR. TAYLOR: So what we know, John, is that
14 adverse health effects that many of the community
15 members experienced were the runny eyes. You
16 mentioned the coughing.

17 MR. MURPHY: They appeared to be exposed to
18 more minor concentrations or for less periods of time
19 than the model predicted. And I think this is because
20 of the wind direction and the direction that the plume
21 went to. So if the plume went toward the mobile park
22 area, consequences could have been much more severe.

23 DR. ROSENTHAL: The ERPG2 represents -- any
24 concentration that is greater than the ERPG2 has the
25 potential of calling for a serious health effect and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 possibly interfering with the person's ability to be
2 able to evacuate. You go to ERPG1, you're talking
3 about irreversible health effects.

4 MR. MURPHY: And all of these assume --

5 DR. ROSENTHAL: ERPG3. Excuse me.

6 MR. MURPHY: And they assume a one-hour
7 exposure.

8 DR. ROSENTHAL: Yes. What is indicated is
9 that, under worst case conditions, a change of wind,
10 there is the potential for significant health impacts.

11 MR. MURPHY: That is true.

12 DR. ROSENTHAL: Significant health impacts
13 if you're greater than ERPG2. And if you're greater
14 than ERPG3, they're irreversible.

15 MR. MURPHY: For one hour.

16 MS. MERRITT: John, do you have any other
17 questions?

18 MR. BRESLAND: No, not right now, I think.

19 MS. MERRITT: Dr. Poje, do you have another
20 one?

21 DR. POJE: Yeah.

22 MS. MERRITT: Well, let me go to Dr.
23 Rosenthal. Do you have a question?

24 DR. ROSENTHAL: At least one. John, we
25 talked about the response times being inadequate. But

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we just said that, within 30 minutes under foreseeable
2 conditions, you might have had the threshold of
3 serious health effects. Is it reasonable to expect,
4 under the best conditions, that an outside response
5 team can get in place and close everything down? Or
6 is it something that has to be done internally, or by
7 mitigation measures? In other words, what are your
8 thoughts on that subject?

9 MR. MURPHY: My thought is that -- this is
10 just my opinion, that to get the outside responders to
11 the release in 30 minutes would be optimistic. As we
12 said in our presentation, if the plant people were
13 properly trained and drilled, perhaps they could have
14 addressed the problem within 30 minutes perhaps. And
15 I think this begs the question that notification of
16 the public as quickly as possible so they can take
17 preventive action on their own is probably the key in
18 this situation.

19 MR. JOSEPH: And the thing is that both the
20 company and the community have to share in this
21 responsibility of notifying the public. You can't
22 just leave it up to the community to do all the
23 notification. For those that are immediately
24 affected, you have to get the company involved, and
25 the company does have to do its share of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 notification.

2 MS. MERRITT: And when you talk about
3 community, are you talking about the residents? Or
4 are you talking about the agencies responsible?

5 MR. JOSEPH: That's right. I'm talking
6 about the community local response authorities.

7 MS. MERRITT: And so the public agencies
8 that are responsible for emergency response and the
9 company are responsible for making sure there is
10 adequate and quick notification?

11 MR. JOSEPH: If you look at the RMP
12 regulation, under emergency response, it states that
13 it's the responsibility of the company to notify the
14 local emergency responders as well as the public.

15 MS. MERRITT: I see. Yes, Dr. Taylor?

16 DR. TAYLOR: I have a follow-up question to
17 that. Even prior to this incident, how much awareness
18 was there regarding potential for chlorine exposure?
19 Had the community, all parts of the community -- the
20 local community, the industries in the area -- did
21 they know what the potential could be and have any
22 information?

23 MR. MURPHY: Many of the residents we
24 interviewed recalled an incident that had taken place
25 some years before where there was a chlorine cylinder

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 damaged and there was a release, not nearly of this
2 magnitude. But many of the residents remembered that
3 incident. So there was some awareness of the chlorine
4 hazards because of previous experience with releases.

5 MR. JOSEPH: But one thing that we
6 recognized from our investigation and interviewing
7 some of the community members was that there was not
8 that level of communication between the facility and
9 some of the nearby businesses and the local Blue
10 Fountain mobile home park and some of the other
11 residents. So there was a little bit of break in that
12 communication.

13 DR. POJE: I just was also struck by this
14 incident. It seems it occurred at nine-thirty in the
15 morning on a weekday morning. So, therefore, most
16 people were at work. Those who were out and about
17 would have visual cues. The people across the roadway
18 were able to see a cloud coming and were able to
19 evacuate. So there is an enormous amount of
20 serendipity. The cloud went in a direction that
21 didn't target the largest population. So this issue
22 is a very significant one of notification.

23 MR. JOSEPH: That's true.

24 DR. POJE: John Bresland and I were --

25 MR. MURPHY: We agree.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. POJE: -- in Pascagoula, Mississippi,
2 in January. And the same issue was in play in that
3 community. Notification does require a lot of
4 thoughtfulness. And an alarm system is one way of
5 providing awareness. But notification should go steps
6 further and also deal with directions that people
7 should take once they are alerted to the problem.

8 MR. JOSEPH: There is some education that
9 needs to take place within the community. And it's
10 important --

11 DR. ROSENTHAL: In a sense, I guess, to put
12 it into a question, given even adequate notification,
13 there is a need for some provisions for people who are
14 not able to pick up and drive away, and, therefore,
15 some measures or attention to the appropriateness of
16 sheltering in place or, perhaps, first aid measures.
17 So there are many aspects. And I guess the drift of
18 my questioning is to ascertain whether, even under
19 best-case emergency response conditions, one does not
20 need to have provisions that will deal with the fact
21 that the release may not be able to be shut off either
22 by the employees or the community responders within
23 the one-half/one hour time periods we're talking
24 about.

25 MS. MERRITT: One half or one minute. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have a hundred feet between the facility. How can you
2 respond to that? I mean, how can anybody evacuate in
3 the amount of time?

4 MR. MURPHY: Well, the data seems to
5 indicate that they have probably a ten- to
6 twenty-minute interval before the thing comes off,
7 clouds come through. Not the employees, but the
8 residents.

9 MS. MERRITT: Mr. Bresland, did you have a
10 question?

11 MR. BRESLAND: I've got a comment and a
12 question. Let me ask the question first. In your
13 investigation of this, did you find examples of where
14 the community emergency response agency and the
15 company did some drills to test out their emergency
16 response system, specifically related to release of
17 chlorine from the DPC facility?

18 MR. MURPHY: I'll let Giby follow up on
19 this. There had been some communication and visits by
20 the local HAZMAT people with the DPC facility people.
21 But we believe that the in-depthness of the visits
22 and the training and the auditing probably wasn't done
23 as well as it could have been. Do you want to comment
24 on that?

25 MS. MERRITT: The question was, were there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 any drills. Were there any drills conducted?

2 MR. JOSEPH: No drills were conducted. I
3 mean, no one expected this magnitude of a release.

4 MR. MURPHY: There had been visits, but no
5 drills.

6 MS. MERRITT: Are there other questions?

7 MR. BRESLAND: Well, just let me make my
8 comment here. In your contributing causes, you talk
9 about the Jefferson County emergency preparedness
10 planning as being deficient. I'd just like to make a
11 comment on that and differentiate between what I've
12 called the management system of Jefferson County's
13 emergency planning program and the more specifics of
14 what actually happened on that day.

15 I worked in the chemical industry for
16 many, many years. And I've got a lot of experience
17 dealing with hazardous chemicals. I'm also, or I was
18 before I moved to Washington, an emergency medical
19 technician in Northern New Jersey. So I do have some
20 experience with emergency response.

21 And over the last several months since
22 this incident occurred, I've been, as all board
23 members do, we do talks on the outside. And I do show
24 a videotape of the chlorine release here at Festus.
25 And it's a very dramatic videotape. It gets a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 attention from people in the industry. And that
2 videotape shows the emergency responders climbing up
3 on top of the railcar and closing it off. And you see
4 a couple of emergency responders in their Level A
5 suits, the pink suits, walking through a cloud of
6 chlorine up to their shoulders.

7 And I would like to just make sure that
8 there's no implication here that we're criticizing the
9 emergency responders. Mike Siegel was the person who
10 climbed up on top of that tank car, and I don't think
11 I'd do it. And I certainly appreciate their bravery
12 in getting up there and closing off this release.

13 MS. MERRITT: And they're all volunteers.

14 MR. BRESLAND: And they're all volunteers,
15 and they certainly deserve a lot of credit for doing
16 it.

17 DR. ROSENTHAL: I think your point is well
18 taken. I wouldn't do it either, John, but I would
19 send you.

20 MS. MERRITT: Well, I have a question. One
21 of the things that, my years in industry also, I
22 recognize that, in pad air systems or pneumatic air
23 systems, moisture is a very important thing to
24 prevent. And we have compressors, and then we had air
25 dryers. Was this system equipped with air dryers?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 And were these systems maintained in a way that would
2 have prevented this? Was this certainly corrosion
3 that was otherwise prevented and may have occurred
4 from, you know, atmospheric sources? Or was this
5 equipment failure?

6 MR. JOSEPH: It could be both situations,
7 could have played into the corrosion. They did have a
8 plant air dryer system. The air dryer system, we
9 looked at the maintenance logs on that. Maintenance
10 had been done. But when we looked at some of the
11 readings on the dew point indicator for the dryer, it
12 seemed like there was no shifting or changes on the
13 analyzer results. So we questioned if the plant dryer
14 was actually functioning at the time of the incident,
15 or the air dryer system was functioning.

16 MS. MERRITT: Okay. And the other question
17 I have is, were there inspections every day? I mean,
18 would somebody have been looking at this hose? I
19 can't imagine this hose was nice, shiny like that, and
20 then, the day it failed it just failed. Were there
21 indications that this hose was corroding? And did
22 anybody inspect it or pay any attention to it?

23 MR. JOSEPH: Yes, there's daily
24 inspections. And one of the things that we tried to
25 bring out in the presentation is that the inspections

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 and testing were not adequate enough to identify or
2 thorough enough to identify some of these things like
3 the one that you're talking about. You know, looking
4 carefully at the hoses to identify maybe there's
5 slight corrosion and identify those kind of issues.

6 MS. MERRITT: What was their testing on
7 these valves? Did they operate this emergency shutdown
8 system on a regular basis?

9 MR. JOSEPH: Yes. They operated it on a
10 daily basis. At the end of the day, they would shut it
11 down. But no one actually visually verified that the
12 valves would actually close. I mean, they'd press the
13 button at the end of the day, but they didn't actually
14 go up on top of the railcar and look at the actuator
15 indicators to see if it actually closed.

16 MS. MERRITT: Now, you also indicated that
17 they are members of the Chlorine Institute and there
18 is a -- is it a responsible care code that they all
19 sign onto? Is there a verification that people are
20 actually doing what the code indicates when they claim
21 to be doing it?

22 MR. JOSEPH: In terms of the Chlorine
23 Institute, I don't think they have verification. It's
24 basically --

25 MS. MERRITT: It's an honor system?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. JOSEPH: Yeah. It's basically
2 recommended practices. They have like manuals and
3 pamphlets that tell you, (a) if you're a chlorine
4 repackager, you do these kind of steps. But,
5 basically, it's recommended practices. You know, they
6 don't say you have to do it. It's just recommended
7 practice that you -- and it's a good --

8 MR. MURPHY: Yeah, there's no third-party
9 verification or anything like that.

10 MR. JOSEPH: That would be with the
11 National Association of Chemical Distributors.

12 MS. MERRITT: Well, thank you very much.
13 Are there other questions?

14 DR. POJE: A follow-up to that question on
15 the emergency shutdown system. So, at DPC, testing
16 was done every day just to assure that the button
17 would work, and presumably some noise was made about a
18 solenoid attempting to trigger. But no actual
19 observation as to whether the ball valve was closed?

20 MR. JOSEPH: That's true.

21 DR. POJE: I'm presuming that emergency
22 shutdown systems are fairly common among chlorine
23 distributors, that this DPC facility wasn't the first
24 and only one to have that. So the question I have is,
25 how problematic is corrosion amongst the community of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 chlorine redistributors in their emergency shutdown
2 systems, and is there any guidance that's been
3 developed to recommend mechanical integrity checks
4 with some degree of regularity to assure that failure
5 to close is not cropping up on people?

6 MR. MURPHY: The Chlorine Institute does
7 have a recommended practice in emergency shutdown
8 systems. But it doesn't really address the specifics
9 of corrosion and such and doesn't really address
10 verification that the emergency shutdown system
11 operate as designed. So, as you can see in our
12 recommendations, we speak to that as one of the things
13 the Chlorine Institute could do.

14 Now, as part of the investigation, I
15 talked to all 20 chlorine repackagers in the U.S.,
16 just to get some insights as to what they do. From
17 what I'm told, they seem to not see as much corrosion
18 as we see at DPC. Or if they do see corrosion, they
19 seem to have better programs in place to address the
20 issue before it becomes as severe. So as part of our
21 investigation, we also talked to other repackagers in
22 the U.S.

23 MS. MERRITT: Well, that's probably a good
24 segue, then, into proceeding with the recommendations.

25 So if you would do that, I'd appreciate it, so we can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 move on to public comment.

2 RECOMMENDATIONS

3 MR. MURPHY: Okay. I will now present the
4 recommendations. The recommendations I will be
5 presenting are proposed recommendations until voted on
6 by the board. The recommendations are not mandatory,
7 but the board promotes and tracks all recommendations
8 until adopted or closed out by board vote. With that,
9 I will read the recommendations.

10 The first set of recommendations are to
11 the DPC Enterprise Festus facility. And the first set
12 regard the mechanical integrity program, revise the
13 mechanical integrity program.

14 Develop and implement a quality assurance
15 management system such as positive material
16 identification to confirm that chlorine transfer hoses
17 are of the appropriate materials of construction.

18 Implement procedures and practices to
19 ensure the emergency shutdown system operates
20 properly. Include procedures to verify the emergency
21 shutdown valves will close to shut down the flow of
22 chlorine.

23 Revise the preventative maintenance and
24 instruction program for the chlorine transfer system
25 to address moisture-related corrosion. Evaluate and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 correct any problems associated with corrosion that
2 could potentially lead to chlorine transfer and safety
3 system failure.

4 Require periodic inspection of the above
5 critical safety systems by the operations or facility
6 manager.

7 The next set of recommendations are also
8 to DPC Enterprises Festus.

9 Revise the emergency response plan.

10 Develop procedures to clearly designate
11 the roles and responsibilities of facility emergency
12 response personnel, including post incident
13 remediation.

14 Develop and implement a time table for
15 drills to test emergency response personnel on various
16 levels of response including a large, uncontrolled
17 release that could affect the public. Coordinate
18 these drills with local emergency response
19 authorities. Provide a copy of the revised emergency
20 response plan to the LEPC and review the plan with the
21 committee and local fire department. Work with these
22 authorities to implement and improve community
23 emergency notification system.

24 Also to DPC-Festus. Improve accessibility
25 of equipment required for emergency response

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 considering likely response scenarios.

2 The next set of recommendations are to the
3 DX Group, which is the corporate group.

4 In light of the findings of this report,
5 conduct periodic audits of the safety management
6 systems involved in this incident such as mechanical
7 integrity, emergency response, and material quality
8 assurance at your repackaging facilities. Ensure that
9 audit recommendations are tracked and implemented.
10 Share the findings and recommendations with your work
11 force.

12 Also to DX Group: To improve supervision
13 of day-to- day operations, revise your corporate
14 safety management training program on chlorine
15 repackaging operations. Emphasize safety-critical
16 systems including verification of safety system
17 performance.

18 And finally to the DX Group: Communicate
19 the findings and recommendations of this report to all
20 DPC facilities.

21 Then the next set of recommendations are
22 to the Jefferson County Emergency Management Agency,
23 which is the county agency responsible for emergency
24 planning.

25 Work with DPC to implement a community

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 notification system that will immediately alert
2 neighboring residents and businesses of a chemical
3 release.

4 Also to Jefferson County EMA: Work with
5 DPC, local emergency planning and response authorities
6 in Jefferson and adjacent counties, the city of
7 Festus, and Crystal City, to improve overall response
8 and mitigation time.

9 The next recommendations are to the
10 Missouri State Emergency Response Commission, which
11 has state responsibility for emergency planning.

12 Communicate the findings and
13 recommendations of this report to Missouri local
14 emergency planning committees, emergency management
15 agencies, and local fire departments.

16 The next recommendation is to the Branham
17 Corporation, which is the hose fabricator that
18 supplies DPC-Festus.

19 Implement a materials verification
20 procedure to improve quality assurance during chlorine
21 transfer hose fabrication and shipment such that hoses
22 shipped to customers are readily identifiable and meet
23 required specifications.

24 This is a recommendation to Crane
25 Resistaflex, which supplied the Hastelloy C braided

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hose to Branham. Work with the Chlorine Institute and
2 the Association of Hose and Accessories Distribution
3 to develop and implement a recommended practice
4 requiring positive visual identification inherent to
5 the material of construction for chlorine transfer
6 hoses to prevent misidentification of hose material
7 throughout the supply chain.

8 The next set of recommendations are to the
9 Chlorine Institute. The Chlorine Institute is an
10 international organization that provides guidance and
11 information concerning chlorine handling, repackaging,
12 and chlorine transfer systems.

13 The first recommendation: Work with Crane
14 Resistaflex and the Association for Hose Accessories
15 Distribution to develop and implement a recommended
16 practice requiring positive visual identification
17 inherent to the material of construction for chlorine
18 transfer hoses to prevent misidentification of hose
19 material throughout the supply chain.

20 The second recommendation to the Chlorine
21 Institute: Develop recommended practices to address
22 moisture in dry chlorine piping systems. Include
23 information on suggested material specifications,
24 prevention, and corrective measures, and adverse
25 consequences, particularly for emergency shutdown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 systems.

2 The third recommendation: Develop
3 recommended practices for testing, instruction, and
4 preventative maintenance of emergency shutdown systems
5 for bulk transfer of chlorine.

6 And the last recommendation to the
7 Chlorine Institute: Communicate the findings and
8 recommendations of this report to your membership.

9 The next set of recommendations goes to
10 the Association for Hose and Accessories Distribution.

11 This organization is an international organization
12 that provides information to hose distributors and
13 manufacturers essential for running their businesses.

14 Work with the Chlorine Institute and Crane
15 Resistaflex to develop and implement a recommended
16 practice requiring positive visual identification
17 inherent to the material of construction for chlorine
18 transfer hoses to prevent misidentification of hose
19 material throughout the supply chain.

20 And the second recommendation to this
21 group: Communicate the findings and recommendations of
22 this report to your membership.

23 The final recommendation goes to the
24 National Association of Chemical Distributors. This
25 organization is an international organization of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 chemical distributors that provides guidance in
2 operations and safety.

3 Communicate the findings and
4 recommendations of this report to your membership.

5 I believe that's the final recommendation.
6 Any questions on recommendations?

7 MS. MERRITT: Thank you.

8 ** QUESTIONS

9 DR. TAYLOR: One question I had, John, I
10 know that you mention in several places a
11 recommendation, work with Chlorine Institute and Crane
12 Resistaflex to develop a recommended practice
13 requiring positive visual identification, and so on.
14 I guess my question is, aren't there other
15 manufacturers of this same type of hose? And rather
16 than --

17 MR. MURPHY: In fact, there's six or seven
18 manufacturers of the Hastelloy C braided hose. So
19 that is a true statement.

20 DR. TAYLOR: Okay. So one of my concerns
21 is --

22 MS. MERRITT: Well, could we save
23 discussion for later?

24 DR. TAYLOR: Okay.

25 MS. MERRITT: If you have a question,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 please present the question.

2 DR. TAYLOR: All right. Well, that was the
3 question then. We'll have more discussion later.

4 MS. MERRITT: Are there any other
5 questions, then, concerning the recommendations? Then
6 we'll save discussion.

7 PUBLIC COMMENT

8 MS. MERRITT: At this time, we'll move on
9 to public comment. If everybody takes three minutes,
10 we have one hour's worth of public comment here, which
11 is, you know, appropriate. But I am asking all of you
12 to please be ready up here at the podium when it's
13 time for you to speak.

14 I'll call your names off in threes, so
15 that you who are speaking and two following then will
16 be able to be ready so that we can keep time to a
17 minimum so that we can stay on schedule as best as
18 possible.

19 I ask you to keep your comments to three
20 minutes or less. Please keep them germane to this
21 issue, and please be respectful of other people who
22 are commenting and of the board and the companies
23 involved, please.

24 The first one is Mr. Timothy Ballew. No,
25 Mr. Timothy Lewis. I'm sorry. And then following him

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 would be Tony Thompson and Eric Stotlerby? I'm sorry;
2 I know I'm butchering that. If you would please come
3 to the podium and be ready to speak, I'd appreciate
4 it. Timothy Lewis? Mr. Lewis, are you here?

5 MR. LEWIS: I'll give my time to somebody
6 else. I didn't know I was signing up to speak.

7 MS. MERRITT: Oh, all right. Maybe that's
8 a lot of these. Mr. Tony Thompson?

9 MR. THOMPSON: Where am I supposed to go?

10 MS. MERRITT: Right up to the podium.
11 Thank you. Eric Stotlerby?

12 MR. STOTLER: It's Stotler. I signed up in
13 the wrong place too.

14 MS. MERRITT: Okay, good. And Rick Massie?
15 Thank you. Go ahead, Mr. Thompson.

16 MR. THOMPSON: Thank you. Two points very
17 quickly this morning.

18 The first one is, I would like to commend
19 the people that responded in this incident. Going
20 into an environment like the one that we have seen
21 described this morning is, no question about it,
22 putting your life at risk. So the people that do
23 this, every time I see it on television, I kind of ask
24 myself, why do these people do that. But certainly
25 another example today of how the emergency response

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 capability of this community has made some significant
2 contributions to the health and safety of all
3 employees. So I admire what they have done.

4 The second is, I would like to thank the
5 Chemical Safety Board for the information they're
6 providing. As a long-time employee of the chemical
7 industry -- and it's getting pretty close to 35 years
8 for me now -- I can say that getting information,
9 detailed information, from incidents like this has
10 been very, very difficult. In some cases, it's been
11 impossible. So having the results, the findings, the
12 recommendations, the details of what happened for a
13 significant chemical event is something that is
14 invaluable to an individual like myself.

15 So I will take this information, and I
16 will take it back to the company that I work for. And
17 I will share it, and we will communicate it and,
18 hopefully, prevent an incident like this from
19 happening in another community like this one.

20 So from that, I want to thank the board
21 for the information that you have provided to me
22 today.

23 MS. MERRITT: Thank you, Mr. Thompson.
24 Would you also identify the organization that you're
25 with or if you're representing yourself?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. THOMPSON: I work for Monsanto Company.

2 MS. MERRITT: Thank you. The next one is
3 Mr. Massie. If you would, tell what organization
4 you're with.

5 MR. MASSIE: I'm Rick Massie. I'm national
6 operations manager for DPC Enterprises.

7 Obviously, we at DPC regret, we sincerely
8 regret, the incident that happened and everything that
9 everyone was subjected to in terms of the concern it
10 caused everybody. And, you know, we regret it very
11 much. And we appreciate the assistance of all the
12 local emergency response teams that helped in the
13 incident and all the other officials that were there
14 and doing things to help mitigate the situation.

15 The investigation of this incident has
16 been a cooperative endeavor with DPC Enterprises, as
17 well as the Chemical Safety Board and many other
18 individuals and organizations that participated in it.

19 Our collective objective in the
20 investigation has been to prevent a similar incident
21 from happening anywhere else. So we appreciate all
22 your help, John and Giby especially. We all worked
23 together to try to find out what happened here.

24 We agree with one of the root causes that
25 was identified by the Chemical Safety Board, that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hose supplied by Branham Corporation failed because it
2 was the wrong material.

3 We don't agree with one of the root causes
4 identified. We know that quality assurance is
5 critical. We believe the responsibility rests with the
6 supplier, not the user. When purchasing a finished
7 product, the user does not check the various pieces
8 utilized by the supplier in making the product. For
9 instance, when you buy a new car, do you check the
10 rods and pistons inside the engine?

11 We want to clarify some circumstances
12 under which DPC received the hose from our supplier.
13 DPC knows that stainless steel does not work in
14 chlorine service. For years, we have had safeguards
15 for using and purchasing chlorine railcar unloading
16 hoses.

17 Chlorine hoses are made with a Hastelloy
18 braid, and they are purchased by DPC with threaded
19 connections on both ends. We do not use hoses with
20 stainless steel at Festus.

21 However, at other sites, DPC uses it for
22 different products. We use railcar unloading hoses
23 made with stainless steel braid. These hoses have a
24 flange on one end. They will not fit in a chlorine
25 unloading system. In addition, we furnish serial

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 numbers to the supplier for tagging the hoses. The
2 serial numbers include a site identification number
3 and the letters "CL" to indicate chlorine service.

4 Two other hoses were bought for Festus at
5 the same time as the failed hose and shipped by our
6 supplier, Branham Corporation, in the same box to
7 Festus with the defective hose. The braid of these
8 other two hoses was the correct material. It was
9 tested.

10 DPC ordered a chlorine railcar unloading
11 hose. The failed hose was certified by Branham to be
12 a chlorine railcar unloading hose. The shipping
13 documents stated it was a chlorine railcar unloading
14 hose. It was labeled a chlorine railcar unloading
15 hose, and it looked like a chlorine railcar unloading
16 hose. But it was not.

17 Again, DPC Enterprises believes quality
18 assurance for the materials of construction resides
19 with the supplier, not the end user. The supplier's
20 quality assurance program is the root cause, not
21 DPC's.

22 And we would like to thank and express our
23 appreciation for the efforts from the Chemical Safety
24 Board and the dedication of the investigators and the
25 cooperation of all the other involved parties. And we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are confident that this process that we are going
2 through with CSB will have a positive effect on
3 improving the industry. Thank you.

4 MS. MERRITT: Thank you. Mr. Kutz? Doug
5 Kutz?

6 MR. KUTZ: Same thing.

7 MS. MERRITT: Mike Dolan?

8 MR. DOLAN: No comment.

9 MS. MERRITT: Devon Crawford?

10 MS. CRAWFORD: Dawn?

11 MS. MERRITT: Dawn. I'm sorry.

12 MS. CRAWFORD: That's fine.

13 MS. MERRITT: I don't have my glasses on
14 either. Please state your name and also who you
15 represent or if it's yourself.

16 MS. CRAWFORD: My name is Dawn Crawford. I
17 am a resident of the community. I also have a
18 background in medical knowledge.

19 A lot of this is based on assumption. I
20 can speak for myself and my household. If we had
21 known that it was a chemical plant with a public
22 safety sign near the plant for us to have access to,
23 we would not have moved in there.

24 As far as the assumption that the chemical
25 cloud did not hit the community that bad that day, I'd

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have to say that was wrong. I was asleep when this
2 happened. I was awakened when a member of my
3 household came back in to get me.

4 When we got out of the community, the
5 cloud was bad enough that it was like going through a
6 thick fog. We were ill. We suffered from nausea,
7 vomiting, stomach irritation, respiratory irritation.

8 When we called for medical attention, we
9 were told by the hospital and the administrators that,
10 unless we were having severe or moderate respiratory
11 difficulty, that these symptoms would dissipate within
12 a week.

13 And that quells a lot of those
14 assumptions.

15 As far as the community in itself and the
16 economical, ecological, and the devastation to the
17 flora and fauna of the community, we have not seen an
18 environmental protection notification or any studies
19 from that, which I, personally, would be very
20 interested in.

21 Some of the safeguards that I understand
22 have been installed by DPC I have not yet seen or
23 heard, as well as hearing from the plant manager
24 themselves. I think a lot of the residents would like
25 to hear from them personally. And I know that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 probably will not happen because of the aggravation of
2 the situation. And all of the blame may not be
3 totally on DPC. But, let's face it: It was their
4 plant. They should have enforced, reregulated, and
5 thoroughly checked, not just once or twice, but three
6 or four times, so that the other communities involved
7 would have had a better knowledge so that they could
8 protect their assets and their families in the
9 community.

10 Thank you.

11 MS. MERRITT: Thank you very much. Mr. Tim
12 Willis?

13 MR. WILLIS: Decline.

14 MS. MERRITT: Kerry Carpenter? Paul
15 Rowland? Yes, Ms. Carpenter, go ahead. And Mr.
16 Rowland, if you would line behind her there. And Mr.
17 Phil Pontell?

18 MS. CARPENTER: My name's Kerry Carpenter,
19 and I'm a Blue Fountain resident as well. I do have a
20 medical background as well.

21 I find this very upsetting. They took
22 this over in '98? There had not been an update since
23 '96? All I'm hearing: inadequate supervision,
24 inadequate personnel.

25 The first time the fire department came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through, they did not stop at my home. I heard it
2 secondhand. They were ill-ready to respond.

3 I find a lot of negligence on DPC because
4 of their inadequate personnel. There's been no
5 notification the first time. You know, and for me to
6 live there, continue to live there, and it will happen
7 again by human error. This is going to be devastating
8 and life-threatening to me because of my health
9 condition, and I'm sure everybody else that lives down
10 there that has problems.

11 That's all I have to say.

12 MS. MERRITT: Thank you very much. Mr.
13 Paul Rowland?

14 MS. ROWLAND: I'm a resident of the
15 community there, and I feel like the whole deal with
16 the gas and the trailer community was passed over too
17 lightly.

18 One statement was made that the wind was
19 from the west, and it just kind of left the impression
20 that the gas didn't even come into the park. I'd like
21 for everyone to know that we have aerial photographs
22 of this with the cloud hanging over the park, and my
23 home was not even distinguishable from the air from
24 the density of this cloud.

25 We've also been told that there is no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 residue left of this chlorine. Back when the snow was
2 on and it started to melt, when you would step in the
3 snow, your footprints suddenly turned yellowish-green.

4 It is in the soil. It is still there. When you mow
5 the yard now, it just clogs up your breathing. We
6 still have a problem, and no one is doing anything
7 about it.

8 MS. MERRITT: Mr. Pontell? Cathy Politte?
9 There you are. Debbie Birko? Vernon Clemons? Go
10 ahead. Thank you.

11 MS. POLITTE: Thank you. First, I want to
12 thank the board for being here. Three times we've
13 been chlorinated out here, so it's really great that
14 somebody finally came.

15 But I feel like you need to test the air,
16 the water, the ground. They're full of chlorine. The
17 long-term effects of this are unknown. The things
18 that they said happened to us? That was just the
19 first day. The long-term effects of this are
20 outrageous. This is my second chlorine spill.

21 The cloud evaporates like a mist, but it
22 just soaks in, and it is everywhere. So if that's
23 what -- I don't understand what all this is about, but
24 we need someone out there checking our ground,
25 restoring it. We don't want to wait till somebody

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 dies before they can say, oh, maybe it does a little
2 more than what we said.

3 We don't want that chlorine plant next to
4 us. We don't feel like they're going to make us safe.

5 After three strikes, you're supposed to be out. And
6 we know it. Anyone that lives in there knows we'll
7 get chlorinated again. And we don't have hundreds of
8 thousands of dollars. Most of us are lucky if we own
9 our trailer out there. We're lucky if we own our car.

10 So we're told, well, you know, it's all
11 past. But there are a lot of effects that haven't
12 been even checked in here. And we're tired of it.
13 We're tired of being chlorinated. We want this plant
14 closed.

15 MS. MERRITT: Thank you very much. Debbie
16 Birko?

17 MS. BIRKS: It's Debbie Birks.

18 MS. MERRITT: Birks?

19 MS. BIRKS: I guess, unless there's a
20 Debbie Birko here.

21 I'm a property owner right directly behind
22 Blue Fountain mobile home court. And this has been
23 very informational today. But I do believe that there
24 needs to be something for the general public, as we're
25 called, just to be able to really get our questions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 answered.

2 Some of my questions were answered, but
3 not nearly all of them because, like everyone else,
4 I've got a story to tell about how I was affected by
5 the chemical spill. But that's neither here nor there.

6 I think there needs to be something for us that we
7 can actually ask questions and get some answers
8 somehow.

9 And that's basically all I have to say.

10 MS. MERRITT: Thank you very much. Mr.
11 Vernon Clemons? Please state your name and make sure
12 I've got it right.

13 MR. CLEMONS: I'm Vernon Clemons. I'm an
14 independent trucker, and I wasn't there the day that
15 that happened. I wasn't even in the state of Missouri.

16 But the deal is, I had to go over there
17 when I renewed my driver's license and pay \$25 to take
18 a test on hazardous materials. Don't these people
19 have to do nothing? Half the time I renew my license,
20 I have to do that. And evidently they don't.

21 And I'd like to know how come the chemical
22 company's insurance company is jerking everybody
23 around on, you know, paying for their stuff. I had to
24 have a new furnace and air conditioner put in, but
25 they don't want to pay for it. I made six payments on

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a motorcycle that was sitting there I couldn't ride.
2 Well, this Nixon Company told me that the insurance
3 company don't have to rent you a motorcycle. But they
4 said, "But you will get your six payments back."
5 Well, I haven't.

6 And that's all I got to say. I'd just
7 like to know how come all this bull?

8 MS. MERRITT: Thank you. I'm sorry; we
9 don't answer questions, but we'll take your comments.
10 Thank you. Karleen Fortney? Delores Newark? Mike
11 Siegel?

12 MS. FORTNEY: My name is Karleen Fortney,
13 and I own Intermodal Tire Services, which is directly
14 across the street. We knew the chemical company was
15 there when we purchased our property and we built our
16 facility. So we knew there was a potential that
17 something like this could happen. I think every time
18 you go down the highway and see the sign, you know the
19 plant is there. I don't think it's a surprise to any
20 of us.

21 Where I felt there was really a letdown
22 was that we were not notified. And to say that
23 there's visual -- you should be able to visually see
24 the cloud, from our manufacturing facility, we cannot
25 see the cloud. It would have been on us, and we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 have had a very serious situation had not someone been
2 standing at our door, just by chance, and saw this
3 happen.

4 This is not over by a long shot. It's
5 continuing on and on and on. And a lot of this does
6 not hinge on DPC. Their cooperation and anytime we've
7 asked them questions or to do something, they've been
8 very good as far as we were concerned.

9 However, we're a manufacturing facility.
10 And I don't believe this community, and I don't
11 believe that people that are outside of the area
12 affected really understand what this does to a
13 business or a manufacturing company. That's nothing
14 compared to loss of life or people that are ill or
15 those type of things, and I realize that. But we're
16 fortunate. We didn't have loss of life. We didn't
17 have -- you know, everyone got out, and I'm thankful
18 for that.

19 However, whenever I send a load out on a
20 trailer and I can't get my product to my customer
21 because a main spring has rusted in half in back of
22 the trailer and was sidelined -- this has gone on for
23 eight and a half months.

24 The spill should have really been a
25 problem between DPC and the hose manufacturing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 company. However, most of us would agree it isn't.
2 The losses to our company have been great in many
3 different areas. But we're told by the insurance that
4 their responsibility is limited under the law, and
5 they do not hold responsibility to us, and that,
6 really, in essence, it's just our misfortune that we
7 were there and that we have the kind of equipment we
8 have.

9 And the community isn't really, as a
10 whole, understanding, I don't believe, the effect that
11 this is having long-term, because maybe manufacturers
12 won't want to move to that area. And this isn't DPC's
13 fault. I look at this that a lot of people in this
14 room would be a lot happier if the insurance company
15 -- DPC did what they were supposed to do as far as
16 having hazard insurance. They had the insurance, but
17 it -- like other people have stated, we're not getting
18 a lot of results. And it's very costly. It's very
19 disturbing. It's eight and a half months of emotional
20 ups and down and problems virtually every other day.

21 If you're trying to operate machinery and
22 your main panel is completely corroded through, your
23 electrical panel, it's only a matter of time until
24 that goes out. And that's what we face over there
25 every day -- not through DPC. We've gone beyond that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Now it mainly hinges, my problem, with the insurance
2 company.

3 And I want to thank you all for this
4 meeting because it has been very informative.

5 MS. MERRITT: Thank you. Mike Siegel?

6 MR. SIEGEL: My name is Mike Siegel. I'm
7 with the Jefferson County HAZMAT team. I was one of
8 the individuals in the orange suits climbing the
9 railcar along with Dick Tufts. We do this on a
10 volunteer basis. I would really like and would be very
11 happy if the county, as well as the government, would
12 support us as far as monetary to allow us to become a
13 full-time type of department like some of the fire
14 departments in the area.

15 Unfortunately, some of the fire
16 departments rely on volunteers as well. And it's just
17 unfortunate the funding cannot come soon enough to
18 support that. That would enhance our response
19 capabilities.

20 I do appreciate the recognition, however,
21 by several board members and other folks who
22 appreciate our volunteerism and our support with
23 respect to the response.

24 I do want to make one comment reference
25 part of the investigation. I'm not sure how it got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 missed. But we, indeed, did do some monitoring while
2 we were there on the site. Our detector tubes that we
3 used have a limitation of 1000 parts per million. At
4 the fence gate where we did monitoring, the fence line
5 of the facility, it exceeded that amount. So I can't
6 tell you exactly how much was there at that specific
7 point other than it was greater than 1000 parts per
8 million.

9 I want to thank you for the time and the
10 opportunity.

11 MS. MERRITT: Thank you. Tim Pigg? And
12 Lawrence Hicks? Please state your name and who you're
13 affiliated with.

14 MR. HICKS: I'm Lawrence Hicks. I'm a
15 resident of Blue Fountain. I was there, home from
16 work, that day by luck. I walked out of the house.
17 And from the ground elevation dropping and the gas
18 being heavier, the wall of smoke gained in height as
19 it came across the park. It was about 30 foot tall.
20 The one whole side of the park, you couldn't see the
21 trailers as I was getting in my truck to leave. And
22 that wasn't even the main -- that was the main part of
23 the cloud. Now, there was a mist and a vapor that we
24 drove through. I was coughing and hacking as I was
25 leaving.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I went to a pulmonary specialist; I was at
2 60 percent lung capacity from this. It took them five
3 months to pay my vehicle off, you know. My son's got
4 asthma from it. I mean, that's just the numerous
5 long- term effects from it.

6 The evergreen trees still haven't come
7 back. All the vegetation in the park was killed. I
8 don't know where they got the westward wind that day,
9 you know. The wind sock over there, whatever. I'm
10 telling you, I saw a 30-foot tall wall of smoke coming
11 across there of chlorine gas. Scary, you know.

12 Chlorine gas was actually used first in
13 chemical warfare to kill 5000 people, you know.
14 That's a long- term effect. I mean, 1000 parts per
15 million, it said, I mean, that's death. It said right
16 there on you guys's own report. That's pretty strong.
17 That's all I got to say.

18 MS. MERRITT: Thank you. Mr. Pigg?

19 MR. PIGG: Yes. I'm Timothy Pigg,
20 Jefferson Memorial Hospital, director of public
21 safety. I did want to make a few comments. I did
22 want to correct some things that the gentlemen said in
23 their investigation.

24 The hospital was never in a
25 shelter-in-place mode. One of our facilities a little

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 further to the south, they were. They were for a
2 couple of hours until we learned that the gas cloud
3 was remaining to the south.

4 I do know the board has an opportunity to
5 make some recommendations. I don't know what your
6 level of recommendations are and what legislative
7 powers you do have. But I see there's some response
8 here that I think you can have the chemical company or
9 at least make recommendations in the future that the
10 distance between the chemical companies and
11 manufacturers are away from residential areas.

12 MS. MERRITT: Thank you. At this time,
13 would it be helpful to review again the
14 recommendations? Or take a break? Yes. We're going
15 to take a 15-minute break here, and then we'll be back
16 to have the board discuss the recommendations.

17 (A recess was taken.)

18 BOARD DISCUSSION/VOTE

19 MS. MERRITT: What I'd like to do now is
20 open the discussion concerning whether or not we have
21 heard anything here that would prevent us from
22 proceeding to a vote to accept the report. This is a
23 draft report, and we would be voting on its technical
24 content. Although we still have some editorial work
25 to do on it, it would not be for the technical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 content. So I'm asking the question if we have heard
2 anything here that would not allow us to proceed with
3 a vote.

4 DR. POJE: Madam Chair, I don't know
5 whether you're precluding discussion at this moment in
6 time in the matters of recommendation. There's one
7 issue that I certainly want to have a little bit more
8 discussion about before proceeding to a vote on the
9 recommendations area.

10 MS. MERRITT: Well, then, if we would like
11 to proceed to discuss the recommendations, we
12 certainly can do that. Would you like to be
13 recognized?

14 DR. POJE: Please, if I could be
15 recognized. I think Dr. Taylor raised this point in
16 her discussion about the recommendations area.

17 One of the things that concerns me is the
18 framing of recommendations that speaks to the
19 manufacturing community in the sole manufacturer of
20 Crane Resistaflex. In other words, I think the issues
21 that are framed about visual identification -- in this
22 instance, we clearly have a chain of manufacturing,
23 distributor, and ultimate implementer of a chlorine
24 transfer hose that involved the three parties
25 identified. However, the problem of visual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 identification to know appropriately that you have the
2 right material of construction could potentially
3 affect a much larger community.

4 And so what I want to be -- have the board
5 as a whole consider is the possibility of broadening
6 the basis of that recommendation to get to the
7 manufacturing community, to a trade association that
8 might be more representational of the broader number
9 of buyers, and to set in motion something that would
10 involve all the parties identified, but expand it to
11 include all those who might be involved in chlorine
12 transfer hose manufacturing.

13 MS. MERRITT: Okay. Is there other
14 discussion? Dr. Taylor?

15 DR. TAYLOR: I basically agree with Jerry
16 on that point, that we've identified one particular
17 manufacturer, but these hoses look very much alike.
18 So if the industry is making hoses like this for both
19 products, then there should be a way that all
20 manufacturers are involved in a better way of
21 identifying them.

22 MS. MERRITT: Are there other comments on
23 that point?

24 MR. BRESLAND: Well, I would agree with the
25 other two board members on this issue. And, again,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you could make it even broader, and I'm not sure if we
2 want to do that in the context of this meeting. But
3 transfer hoses are used in a variety of applications
4 in the chemical business where very hazardous and
5 toxic materials are being transferred.

6 I'm not an expert in this area, but I
7 would think that we'd like to, in a longer-term sense,
8 look at this issue as well to see what are the
9 potential hazards from transfer hoses that are used
10 for chemicals other than chlorine.

11 But certainly, in the context of this
12 investigation, I would be willing to support a broader
13 recommendation that applied to all of the people who
14 manufacture chlorine transfer hoses and not just
15 specify one specific manufacturer.

16 MS. MERRITT: Dr. Rosenthal, do you have
17 any comments?

18 DR. ROSENTHAL: No. I think the other
19 board members have framed my opinion that this thing
20 has to be broadened, and has greater impacts than
21 perhaps just transfer of chlorine.

22 MS. MERRITT: Yes, Dr. Taylor?

23 DR. TAYLOR: This is not on this issue, but

24 --

25 MS. MERRITT: Another issue? Okay, so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we're moving off of this one. State which
2 recommendation it is.

3 DR. TAYLOR: Well, there were several.
4 Let's see.

5 DR. POJE: If I could just clarify on that
6 point before we move to a second one?

7 MS. MERRITT: Yes.

8 DR. POJE: I believe that, should we act,
9 as I'm hearing some degree of unanimity amongst the
10 board members about it, that would require changing
11 several recommendations. In other words, the
12 recommendations I think would need to be changed and
13 dropped would be the recommendations to Crane
14 Resistaflex as one of a number of hose manufacturers.
15 I think that it is not the objective any longer.

16 It would be to drop that recommendation
17 and then to change the partnering that is implied in
18 the current proposed staff recommendations with the
19 Chlorine Institute and with the Association of Hose
20 and Accessories Distribution, the NAHAD, to have them
21 work with the community of manufacturers of chlorine
22 transfer hoses.

23 MS. MERRITT: Okay. And I'm asking our
24 general counsel to take note of your suggestions so
25 that if we want to make an amendment we can do so.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: Well, you know, if we look
2 at the question of that amendment, I think enough
3 information has developed during the hearing, and
4 valuable in that sense, that would cause me to think
5 we have to add some recommendations.

6 Clearly, there are concerns within the
7 community which have not been addressed with regard to
8 the longer- term effects of the chlorine release. And
9 I'm not going to comment on what these are or aren't
10 because, by statute, the board is just supposed to
11 address acute effects. And here we have a community
12 that has presented information and certainly a great
13 deal of concern about longer-term effects. So I think
14 we need to address towards the appropriate
15 environmental agencies or perhaps ATSCR.

16 We have also additional information that
17 has been presented that concentrations at the trailer
18 park were in excess of what we implied. We know we
19 didn't have measurements there, but new information
20 has developed. And I would propose that we reconsider
21 these recommendations at greater length before we vote
22 on the report and adopt it today.

23 MS. MERRITT: That is a comment. Unless
24 you make that into a motion, I haven't called for a
25 motion yet.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: I'm just making a comment.

2 MS. MERRITT: It's a comment, okay.

3 DR. TAYLOR: Madam Chair, in fact, that's
4 what I wanted to talk about a little bit more. We did
5 hear today that we did not have in our possession the
6 knowledge regarding some of the community concerns of
7 the long-term health effects. So I do believe that we
8 do need to go back or at least consider making
9 recommendations to the environmental protection
10 agencies, as Dr. Rosenthal has suggested, or to ATSDR
11 or whatever organization can assist with the local
12 community on making sure that their problems are
13 addressed and their concerns are addressed.

14 MS. MERRITT: My intent is to add to these
15 recommendations a recommendation which requests of the
16 Missouri EPA or DEP or whatever they are to hold a
17 community meeting in Festus, Missouri, to hear the
18 concerns of the local citizens that have been affected
19 by the DPC incident and respond to their issues that
20 have been raised here by the community. And that's
21 one of the suggestions. I think we should add a
22 recommendation to do that to respond, because that
23 really is outside of what we do as an agency.

24 The other one would be to request ATSDR to
25 participate. It would be to work with the Missouri

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 EPA to help the state address the local long-term
2 health effects that have been raised by the community
3 here in Festus.

4 So I would propose that, if we proceed to
5 a vote, that I would add those two motions to the
6 recommendations that have already been presented.

7 DR. TAYLOR: That would be an additional --

8 MS. MERRITT: Those are additional
9 recommendations I would add to this report. Dr. Poje?

10 DR. POJE: Madam Chair, I'm not in
11 disagreement with you on those. However, I do know of
12 the difficulty of trying to craft something of that
13 nature here at the podium today and to execute a vote.

14 I'd like to have the opportunity for the staff to
15 review the information that we've heard here today.
16 And I'm favorably inclined that we develop a
17 recommendation that could be very specifically
18 targeted to the most appropriate people. I would
19 worry that we don't know all of those parties right at
20 this moment.

21 And Dr. Rosenthal has raised the point of
22 concern about approving based upon additional
23 information. I do feel that what has been presented
24 today -- the findings, the causations, and the
25 recommendations, albeit with the ones that I've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 suggested for changes already -- to be approved. And
2 I wouldn't feel shy about saying we can consider at a
3 future time, shortly after this meeting, how best to
4 frame the coordination of the objectives that you've
5 laid out for us.

6 MS. MERRITT: I would ask the board to
7 consider that the facts, findings, and root causes,
8 contributing causes in the report, that we haven't
9 heard -- I don't think I have heard anything that
10 makes me believe that there is any error in the
11 findings in the report and the recommendations that
12 have been made as a result of those findings.

13 What I have heard from you is that we
14 should change some of these or amend some of these
15 recommendations to broaden them to include other
16 manufacturers. And I have also indicated that I think
17 we should add at least two recommendations that are
18 broadly stated. I don't believe that we should try to
19 solve all the problems that we heard here today,
20 because that is not part of our authority or part of
21 our statute authority to do. But we can make
22 recommendations to agencies who are in place who ought
23 to be responding to the community with regard to these
24 concerns that have been raised.

25 We did hold a public meeting several

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 months ago in which I don't know whether these issues
2 were raised or not. But, you know, this certainly --
3 I mean, if every time we have a public meeting and we
4 have public comment, we delay because of additional
5 concerns -- one of the things I implore the community
6 to do is to communicate with your local agencies your
7 concern. Call the EPA. Call the DEP. Call your
8 mayor. Call the local elected officials and express
9 your concern, because there's definitely an
10 undercurrent of anger here, and I'm certain it's
11 justified, because you do not know what's going on.
12 That is a part of, you know, what you can do in order
13 to address it.

14 What we can do as an agency is to put
15 these organizations, these agencies, state agencies,
16 on notice, because there is a concern in the community
17 and it needs to be addressed.

18 And so what I would ask the board is, at
19 this point, and I will propose this as a --

20 DR. TAYLOR: Can I propose a motion?

21 MS. MERRITT: I would propose this as a
22 motion: that we accept the draft report as presented
23 by the staff, and then we would go through each of
24 these recommendations and vote on them by exception if
25 there are any that we feel we want to amend. So what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I would like to do is make that motion and get a
2 formal vote from the board as to whether or not we
3 should proceed with this report and the
4 recommendations as amended. And is there a second?

5 DR. TAYLOR: Can I ask a question first?
6 Do I have to second before I ask a question about the
7 amendment for -- an informational question.

8 MS. MERRITT: Are you asking a question
9 about the motion?

10 DR. TAYLOR: Yes.

11 MS. MERRITT: Okay.

12 DR. TAYLOR: So are you saying that with
13 the amendments that were discussed? Or are we just
14 going to go through each recommendation and then go
15 add the amendments? I'm a little confused.

16 MR. WARNER: I believe the motion was to
17 have two votes: one on the report, and then an
18 individual vote on each specific recommendation.

19 DR. TAYLOR: Okay.

20 MR. WARNER: Then go through the
21 recommendations. That's the motion that's before the
22 board.

23 DR. TAYLOR: All right. So then I'll
24 second it.

25 MS. MERRITT: All right. Then I would call

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 for a roll call vote. Dr. Poje?

2 DR. ROSENTHAL: We have discussion of the
3 motion.

4 MS. MERRITT: Oh, and we have discussion of
5 the motion. Thank you.

6 DR. ROSENTHAL: In principal, I have no
7 problem with what you're proposing. I just wonder
8 whether we would be better served by taking an extra
9 week to have these things reworked carefully, the
10 words chosen and looked at, with the staff having an
11 opportunity to review them, rather than do it today.
12 I raise that as an issue.

13 MS. MERRITT: Okay. Any other comments?

14 MR. BRESLAND: I have one comment. And
15 that is that, if we're looking at a proposal to invite
16 the Missouri environmental agencies in and the agency
17 for toxic substances, which is a federal agency, to
18 come in and evaluate the health concerns of the
19 community, this incident occurred last August. We're
20 now in May. Eight months have passed. And I don't
21 want to delay things too much more.

22 The community is obviously concerned. I
23 don't want to be passing -- waiting for another month
24 to vote and then send that recommendation off to these
25 two agencies and have more delay. From the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 community's perspective, I think we need to get this
2 information developed and get them satisfied as
3 quickly as possible.

4 MS. MERRITT: So the motion has been
5 seconded. There has been discussion. I would call
6 now for a roll call, please, if you would on this, the
7 motion. State it again.

8 MR. WARNER: The motion is to approve the
9 report and to vote individually on each specific
10 recommendation as specified in the report. Dr. Poje?

11 DR. POJE: As a point of information then,
12 as we vote on the individual recommendations, the
13 amendments to those recommendations can be brought
14 then forward?

15 MS. MERRITT: Yes, absolutely.

16 MR. WARNER: Or new recommendations added.

17 DR. POJE: Then I do vote affirmatively to
18 approve the report and to proceed with a review of
19 individual recommendations for their approval.

20 MR. WARNER: Mr. Bresland?

21 MR. BRESLAND: I approve.

22 MS. MERRITT: Dr. Taylor?

23 DR. TAYLOR: I approve.

24 MS. MERRITT: Dr. Rosenthal?

25 DR. ROSENTHAL: I approve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: And I also approve. So we
2 will proceed. What I would like to do is, at this
3 point, look at the recommendations and approve a group
4 that we have no amendments to. So do we have the
5 listing of those?

6 DR. POJE: If I could just say, the only
7 recommendations that I was speaking to for amendment
8 would be R-15, R-16, and R-20 as they are currently
9 listed and as were presented by the staff.

10 MS. MERRITT: Okay. Could I ask the staff
11 to get those three ready? Then what I would do is
12 call for a motion to accept all of the recommendations
13 as presented except for those three. And do you have
14 a listing of those three?

15 MR. WARNER: If I could just clarify, Dr.
16 Poje, you're referring to the amendments to Crane
17 Resistaflex - -

18 DR. POJE: R-15. Yes, that's the one.

19 MR. JEFFRESS: I think we have some
20 different numbers over here. If we could go back
21 through there too, that would be effective.

22 DR. POJE: Crane Resistaflex --

23 MR. WARNER: Crane Resistaflex, the
24 Chlorine Institute, and the National Association of
25 Hose and Accessories Distributors?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. POJE: Yes, those are the three.

2 MS. MERRITT: All right. So would someone
3 please present the motion?

4 DR. POJE: I move that all recommendations
5 except those three identified recommendations be
6 accepted as presented.

7 MS. MERRITT: Is there a second?

8 DR. TAYLOR: I second.

9 MS. MERRITT: Is there discussion?

10 DR. TAYLOR: All of the recommendations
11 from DPC to Branham Corporation we accept, right?

12 DR. POJE: And, actually, I'm just going
13 further. In other words, I'm accepting the
14 recommendation to the Chlorine Institute that they
15 also communicate to their members and that they --

16 MS. MERRITT: Yes, right.

17 DR. POJE: -- also address the other
18 matters, all matters except the matters of a
19 coordinated effort from manufacturers of chlorine
20 transfer hoses, the Chlorine Institute, and the
21 National Association of Hose and Accessories
22 Distribution?

23 MS. MERRITT: Right.

24 MR. WARNER: To clarify your motion, you're
25 referring to recommendation number one to the Chlorine

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Institute and recommendation number one to NAHAD?

2 MR. POJE: And the recommendation to Crane
3 Resistaflex. All except those three.

4 MR. WARNER: Right.

5 MS. MERRITT: If that is the understanding,
6 is there any other discussion? Then I'd like to call
7 for a vote. Dr. Poje?

8 DR. POJE: Approve.

9 MS. MERRITT: Dr. Rosenthal?

10 DR. ROSENTHAL: Approve.

11 MS. MERRITT: Dr. Taylor?

12 DR. TAYLOR: Approve.

13 MS. MERRITT: Mr. Bresland?

14 MR. BRESLAND: Approve.

15 MS. MERRITT: And, as Carolyn Merritt, I
16 also approve. Then what I would like to do is, I
17 asked our general counsel to state, with the
18 discussion that we had concerning rewording for that,
19 those three recommendations, the three recommendations
20 that we are objecting to. And would you be able to
21 read that?

22 MR. WARNER: Madam Chair, the motion
23 towards those three recommendations would read as
24 follows. It would be in two parts. The motion would
25 be to delete the recommendation to Crane Resistaflex,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 delete recommendation number one to the Chlorine
2 Institute, and the recommendation number one to the
3 National Association of Hose and Accessories
4 Distributors, and substitute a new number one
5 recommendation to the Chlorine Institute and National
6 Association of Hose and Accessories Distributors to
7 read as follows:

8 Chlorine Institute number one: Work with
9 the Association of Hose and Accessories Distributors
10 and chlorine hose manufacturers, such as Crane
11 Resistaflex, to develop and implement a recommended
12 practice requiring continuous positive visual
13 identification, e.g. coding, stenciling, or stamping,
14 throughout the supply chain from manufacturing to the
15 end user of the product.

16 Then there would be the second part, the
17 National Association of Hose and Accessories
18 Distributors, recommendation number one: Work with the
19 Chlorine Institute and the chlorine hose
20 manufacturers, such as Crane Resistaflex, to develop
21 and implement a recommended practice requiring
22 continuous positive visual identification, e.g.
23 coding, stenciling, or stamping, throughout the supply
24 chain from manufacturing to the end user of the
25 product.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: We do have some copies of
2 this. Sorry I didn't hand them to you sooner. Let me
3 give you a minute to take a look at that. And if it
4 is agreeable, then I would like to call for a motion.

5 DR. ROSENTHAL: Can we comment on the
6 proposed recommendations, the substitutes?

7 MS. MERRITT: Yes.

8 DR. ROSENTHAL: I am happy with the
9 recommendations except for the word "visual."

10 MS. MERRITT: Okay.

11 DR. ROSENTHAL: There's some discussion
12 that visual identification may have flaws for
13 color-blind people. And I think that, in order to be
14 continuous positive identification, if under some
15 circumstances they have redundant tests that people
16 can visually identify, fine. But there may be other
17 tests that are required. And so I would not like to
18 put "visual" as a limitation.

19 DR. POJE: If I can concur, I think that's
20 wise. That makes it more generic and it leaves it up
21 to that community of experts to come back and come to
22 their own agreement about how best to achieve the end.

23 The end is, obviously, clearly stated. And the
24 adjective "visual" I think is too restrictive.

25 MS. MERRITT: What if we put in there in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 way that would allow identification -- I mean, one of
2 the gentlemen mentioned that they have stamping on the
3 end pieces. I have seen piping myself where it's
4 stenciled with words that say "PVC 4-inch pipe." I
5 mean, it doesn't necessarily have to be color-coded.
6 It can have words on it. But there should be some way
7 to identify this so that you don't have to have an
8 expensive \$300-a-day piece of equipment in order to
9 identify it.

10 DR. ROSENTHAL: I agree. But I think it's
11 up to the industry association to put that forward.
12 They can propose just what you said. But I was just
13 --

14 MS. MERRITT: But I think it has to --
15 otherwise they may come back with, you have to have
16 this piece of equipment. And I'm not sure that's what
17 we want.

18 DR. ROSENTHAL: Well, if the industry
19 association believes that they can get their members
20 to buy the equipment. I mean, it's not the government
21 telling them to buy the equipment. I'm saying --

22 MS. MERRITT: Just take out visual?

23 DR. ROSENTHAL: -- just take out visual.
24 And the industry association can take that into
25 account.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Then I would need someone --
2 I need someone to propose a motion. This has not been
3 brought to the floor yet.

4 DR. POJE: Well, then I need to propose the
5 motion. You want me to read it in its entirety?

6 MS. MERRITT: I think we better.

7 DR. POJE: It's the motion that was just
8 read.

9 MS. MERRITT: Why don't you read the
10 paragraph you want to change?

11 DR. POJE: It's the motion for the Chlorine
12 Institute number one: Work with the Association of
13 Hose and Accessories Distributors, NAHAD, and chlorine
14 hose manufacturers, such as Crane Resistaflex, to
15 develop and implement a recommended practice requiring
16 continuous positive identification, e.g. coding,
17 stenciling, or stamping, throughout the supply chain
18 from manufacturing to the end user of the product.

19 Second, the National Association of Hose
20 and Accessories Distributors, number one: Work with
21 Chlorine Institute and chlorine hose manufacturers,
22 such as Crane Resistaflex, to develop and implement a
23 recommended practice requiring continuous positive
24 identification, e.g. coding, stenciling, or stamping,
25 throughout the supply chain from manufacturing to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 end user of the product.

2 DR. TAYLOR: And I second the motion.

3 MS. MERRITT: So that was your motion? The
4 motion is to accept this with the change as you read.

5 And, Dr. Taylor, you second it?

6 DR. TAYLOR: Yes.

7 MS. MERRITT: And then I would call for any
8 other discussion? I would call for a vote. Dr. Poje?

9 DR. POJE: I approve.

10 MS. MERRITT: Dr. Rosenthal?

11 DR. ROSENTHAL: Approve.

12 MS. MERRITT: Dr. Taylor?

13 DR. TAYLOR: I approve.

14 MR. BRESLAND: Approve. I'm sorry.

15 MS. MERRITT: No, you did right. I'm
16 debating. I feel the word "visual" needs to be in
17 there. I would abstain.

18 DR. ROSENTHAL: So the motion is carried?

19 MS. MERRITT: So the motion is carried. At
20 this time, I would like to propose another motion: an
21 additional recommendation from the board. And that
22 would be that the Missouri EPA hold a community
23 meeting in Festus, Missouri, to hear concerns of the
24 local citizens affected by the DPC incident and
25 respond to the issues raised by the community. And I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 propose that as a motion, or I present that as a
2 motion. Is there a second?

3 DR. ROSENTHAL: If I second it, could I
4 vote to modify it?

5 MS. MERRITT: No.

6 DR. TAYLOR: Okay, then, I'll second it.

7 MS. MERRITT: What you want to do -- what
8 we should do is, if there is a modification, then
9 we'll have discussion. I think you're supposed to
10 second it before you have discussion. But go ahead.

11 DR. TAYLOR: I second it.

12 MS. MERRITT: You second it?

13 DR. TAYLOR: I do.

14 MS. MERRITT: Okay. And, with that, then
15 we have discussion.

16 DR. ROSENTHAL: I would just say to respond
17 to the longer-term health effects of the --

18 MS. MERRITT: I'm going to make another one
19 to the ATSDR to address that issue.

20 DR. ROSENTHAL: Okay. Then I object --

21 MS. MERRITT: You object?

22 DR. ROSENTHAL: Then I withdraw my
23 objection.

24 MS. MERRITT: Okay. Is there any other
25 discussion? Yes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. POJE: I just want to make the point
2 that I'm not expert at this moment in time knowing all
3 of the relevant state agencies, their titles as
4 agencies, the local entities that they would need to
5 partner with. And, you know, I'm in agreement with
6 the thrust of your recommendation. And I would say,
7 even if we got to ATSDR, their partnership is
8 generally with the state department of health and with
9 the local county health departments. And this is
10 where I would want us to broaden the recommendation
11 that would allow for all of the appropriate parties to
12 be brought to the table. And I'm a little bit
13 uncertain that I know enough on how to shape it
14 exactly today.

15 MS. MERRITT: Do you have a suggestion?

16 DR. TAYLOR: This is my suggestion for
17 amending that, would be to say "to the state
18 environmental protection agency and other appropriate
19 local or state environmental agencies" or something --

20 MS. MERRITT: Other agencies?

21 DR. TAYLOR: Other agencies, right. And
22 that would broaden it enough that we could look and
23 investigate which other agencies would be responsible
24 for it. Did you write it down? Did somebody write
25 it? Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: So then you're asking that I
2 amend this to "to the Missouri EPA and other agencies
3 as recognized by" --

4 DR. TAYLOR: Other state or local agencies.

5 MR. BRESLAND: I would make it even more
6 general, rather than talking about the Missouri EPA,
7 because I'm not sure if that's the correct term. I
8 think it might be Missouri DNR.

9 MS. MERRITT: Department of Natural
10 Resources.

11 MR. BRESLAND: To make it a recommendation
12 to appropriate environmental and health agencies in
13 the State of Missouri and in the County of Jefferson.

14 MR. WARNER: John, would it help if we
15 identified the Missouri Department of Natural
16 Resources, Missouri Department of Health and Senior
17 Services, and Missouri Department of Conservation?

18 DR. TAYLOR: That's some of them.

19 MR. BRESLAND: I don't know, because I
20 don't if those are --

21 DR. TAYLOR: See, I think it's because we
22 don't have the base -- I mean, we can say all or some.
23 I think we should leave it as something along the
24 line of "other appropriate state agencies," so that we
25 can get all of them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. ROSENTHAL: There's no reason that,
2 having done that, Madam Chair, that we could not
3 substitute at our next core meeting while this is
4 being done, specific names.

5 MS. MERRITT: Okay. So then the motion was
6 made, and it was seconded. Do we need to amend it
7 then?

8 DR. TAYLOR: To say "other agencies," yes.

9 MS. MERRITT: Okay. So the amendment,
10 then, would be to say, "other appropriate agencies"?

11 DR. ROSENTHAL: Right.

12 MS. MERRITT: So what we would say, "the
13 Missouri Department of Natural Resources and other
14 appropriate agencies hold a community meeting in
15 Festus, Missouri, to hear concerns of the local
16 citizens affected by the DPC incident and respond to
17 the issues raised by the community." Okay. All
18 right?

19 DR. POJE: I second that motion.

20 MS. MERRITT: Okay. Do I call for a vote,
21 or is there any other discussion? Dr. Poje?

22 DR. POJE: I approve.

23 MS. MERRITT: Dr. Rosenthal?

24 DR. ROSENTHAL: I approve.

25 MS. MERRITT: Dr. Taylor?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 DR. TAYLOR: Approve.

2 MS. MERRITT: Mr. Bresland?

3 MR. BRESLAND: I approve.

4 MS. MERRITT: And I approve. So then the
5 second one is -- would anybody else like to propose
6 this? I do agree the long-term effects, it certainly
7 isn't anything that we can address. But we certainly
8 can make a recommendation that somebody take a look at
9 this, and that would be the ATSDR.

10 DR. TAYLOR: You know, again, I think we
11 might want to add "and other appropriate agencies."

12 MS. MERRITT:: Well, would you make the
13 motion then?

14 DR. TAYLOR: Okay. For the second motion,
15 I move that we say to ATSDR and other appropriate
16 agencies, that they investigate the long-term health
17 effects from exposures related to the DPC chlorine
18 release.

19 MS. MERRITT: Is there a second? Can we
20 repeat that?

21 DR. TAYLOR: All right. That ATSDR and
22 other appropriate agencies investigate the long-term
23 health effects related to the DPC chlorine release in
24 Festus, Missouri, and communicate their findings to
25 the community.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Is there discussion?

2 DR. ROSENTHAL: Yes. I'd just like to
3 suggest that, we're asking ATSDR to address the
4 concerns about long-term health issues, because
5 addressing the long-term health issues of something of
6 this type is probably a five-year study.

7 DR. TAYLOR: That's correct. I agree with
8 his amendment.

9 MS. MERRITT: So you're asking that we --

10 DR. ROSENTHAL: To address the concerns
11 about the long-term effects.

12 MS. MERRITT: Okay.

13 DR. POJE: So instead of "investigate the
14 long-term effects," "address the concerns about the
15 long-term health effects."

16 MS. MERRITT: Then would you read that for
17 me?

18 MR. JEFFRESS: The motion is that the
19 recommendation is that ATSDR and other appropriate
20 agencies address community concerns about the
21 long-term health effects of the chlorine release in
22 Festus, Missouri, and communicate their findings to
23 the community.

24 MS. MERRITT: Okay. Is there a second?

25 DR. POJE: I second it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Is there discussion?

2 DR. POJE: I just want to make the
3 observation that, in our first recommendation that
4 we've developed to deal with the matters that we heard
5 today we're asking for environmental agencies to hold
6 a meeting with the community. Now, this
7 recommendation, we're not seeking a meeting. We're
8 taking it one step further, and we want to address the
9 concerns of the community. And I think there's some
10 inconsistency in that approach that we need to be
11 thoughtful about. Are we interested in the
12 environmental agency also addressing the concerns of
13 the community?

14 Here is where I would say crafting en banc
15 has a little bit of potential for writing it in a way
16 that -- I appreciate the thrust of the intentions of
17 what we're trying to achieve. But I also want us to
18 be very thoughtful about the language can have
19 different implications and might be viewed differently
20 by the parties. And I think we've heard clear
21 identification of concerns about environmental impact
22 that occurred at the event and has continued
23 afterwards and concerns about public health impacts
24 that have occurred at the event and have continued
25 afterwards. I'd want us to be consistent in approach

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 towards both matters, that to pass the baton, if you
2 will, to other public agencies to act on those matters
3 should be consistent with each other.

4 DR. TAYLOR: And I agree. And I think,
5 probably --

6 MS. MERRITT: Except that does not -- that
7 is not significant to the vote on this amendment.
8 What I would ask us to do is proceed with the vote on
9 this amendment. You're perfectly welcome to add
10 another recommendation that EPA or the DPC from
11 Missouri address the concerns. I have a little more
12 confidence, I guess, that I would assume, if they held
13 a public meeting with these angry people, they would
14 address their concerns. I would hope. But it
15 certainly is opportunity to do that.

16 DR. TAYLOR: Can I ask another question
17 about that? What I think about it is, even though we
18 have these recommendations that we did state that
19 there would be -- I'm just asking a question about,
20 with that recommendation, if there were some language
21 changes that needed to be made, like getting the
22 additional agencies or finding out who they are, we
23 would still be able to do that?

24 MS. MERRITT: Oh, yes. Yes, because we put
25 in there "and other agencies." So that allows us to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 be able to do that, yes. So may I call that we second
2 this?

3 DR. TAYLOR: It was seconded.

4 MS. MERRITT: Then I'd like to call for a
5 vote. Dr. Poje?

6 DR. POJE: I approve.

7 DR. ROSENTHAL: Approve.

8 DR. TAYLOR: I approve.

9 MR. BRESLAND: Approve.

10 MS. MERRITT: And I approve. Then we have
11 two additional recommendations that the board is
12 adding. I open the floor if there are any others.
13 Would the board like to add at this time any others?

14 DR. POJE: May I make an observation then
15 without adding?

16 MS. MERRITT: Absolutely.

17 DR. POJE: Again, I took Dr. Rosenthal's
18 comment that, should, in further reflection, I see a
19 better way of writing this, you may hear from me in
20 our next core meeting.

21 MS. MERRITT: All right. With that action,
22 then, we are at the end of our planned agenda. Oh, we
23 didn't vote on the report. I'm sorry. The report and
24 all the recommendations as amended. All right.

25 This is the motion, and I make this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 motion: to approve the CSB investigation report,
2 Report Number 2000- 0401MO, and recommendations as
3 amended by the board in the meeting today, including
4 conforming editorial changes for the amended
5 recommendations in the body of the report regarding
6 the incident that occurred at DPC Enterprises' Festus
7 repackaging operation on August 14, 2002. Is there a
8 second?

9 DR. TAYLOR: Second.

10 MS. MERRITT: Is there any discussion?

11 DR. POJE: My only point of discussion is
12 that I think there were additional matters raised here
13 that generated additional recommendations. And I'd
14 want to see an incorporation of that information also
15 be added to the report.

16 MS. MERRITT: Yes. I think that's also
17 stated in here, that that would be included.

18 DR. POJE: That's fine.

19 MS. MERRITT: So the motion has been
20 seconded. Then I would call for a vote. Dr. Poje?

21 DR. POJE: I approve.

22 MS. MERRITT: Dr. Rosenthal?

23 DR. ROSENTHAL: Approve.

24 MS. MERRITT: Dr. Taylor?

25 DR. TAYLOR: Approve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Mr. Bresland?

2 MR. BRESLAND: Approve.

3 MS. MERRITT: And I approve. Then the
4 motion to accept the report and the amended and
5 improved recommendations is carried. This is hard
6 work.

7 DR. ROSENTHAL: But the pay is good.

8 MS. MERRITT: With that action, we are at
9 the end this time of our planned agenda. I'd like to
10 thank all of the members of the community who are here
11 today who took the time to come. I'd like to thank
12 the staff for your hard work and your efforts in
13 regard to this investigation. To John Murphy, Giby
14 Joseph, and to Doug Bell, I appreciate your hard work
15 and effort. And to the board also for your hard work
16 on this.

17 The chlorine release at DPC was an
18 accident that just did not have to happen. Industry
19 complains over and over again that they are
20 over-regulated. Companies that handle hazardous
21 chemicals want the trust of the communities that they
22 operate in. They need to demonstrate to the
23 communities and the elected officials that they are
24 committed to their responsibility to public safety, a
25 responsibility to make sure that critical safety and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 response systems are in working order at all times.

2 There are many opportunities to prevent or
3 minimize the impact of this release. Verification of
4 materials in use, emergency shutdown equipment,
5 emergency notification and response systems -- none of
6 these systems functioned well enough to protect the
7 workers and the public. Companies just have got to do
8 better.

9 Citizens should get involved in learning
10 about the industries in their communities and work
11 with the elected officials and community emergency
12 response organizations to be sure that they are ready
13 in the event of such an emergency.

14 The CSB now looks forward to working with
15 DPC, the Chlorine Institute, and all the other parties
16 that were named here to promote a full implementation
17 of our recommendations and to prevent this same type
18 of incident from occurring here or anywhere else in
19 this country.

20 With that, our full report will be posted
21 later this month on our Website, www.csb.gov. And
22 that site will also have up-to-date information on the
23 status of our recommendations. You can follow how we
24 are tracking their implementation from this site from
25 this case.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 So we would now go to our press
2 conference, to begin shortly in this room. The
3 board's next meeting will be in the early summer,
4 where it will conduct a community meeting focusing on
5 a recent plant explosion at West Pharmaceuticals in
6 Kinston, North Carolina, where six people were killed.

7 If there are no other comments from the
8 board, then I declare this meeting adjourned. Thank
9 you.

10 (Whereupon, at 11:00 a.m., the proceedings
11 went off the record.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701