

U.S. CHEMICAL SAFETY BOARD

+ + + + +

CARIBBEAN PETROLEUM

+ + + + +

PUBLIC MEETING

+ + + + +

THURSDAY,  
JUNE 10, 2015

+ + + + +

U.S. CHEMICAL SAFETY BOARD MEMBERS PRESENT:

RICK ENGLER, Member, U.S. Chemical Safety Board  
MARK GRIFFON, Member, U.S. Chemical Safety  
Board

STAFF PRESENT:

DAVID HOROWITZ, PhD, Managing Director  
RICHARD C. LOEB, General Counsel  
VIDISHA PARASRAM, Director of Incident Screening,  
Investigator

ALSO PRESENT:

PHIL MYERS, PEMY Consulting

This transcript produced from audio provided  
by the U.S. Chemical Safety Board.

C O N T E N T S

Introductory Remarks by Member Griffon . . . . . 3  
and Member Engler

Presentation of Report on Caribbean Petroleum  
by Vidisha Parasram . . . . . .10

Questions from Board Members . . . . . .55

Public Comment . . . . . .68

Adjournment by Member Griffon. . . . . 101

1           P R O C E E D I N G S

2                   MEMBER GRIFFON:   Okay, everyone, we're  
3 going to -- I've given the signal to go live, so  
4 we are streaming this meeting on the web.

5                   And I just -- my name is Mark Griffon.  
6 I am a Board member with the Chemical Safety  
7 Board, and to my left is Mr. Rick Engler, a Board  
8 member, and to my right is Richard Loeb, our  
9 General Counsel.

10                   And I'd like to welcome you all to the  
11 second part of our public meeting today.   Some  
12 were here earlier, some are joining us newly, I  
13 think, but this afternoon session is to address  
14 the Caribbean Petroleum tank terminal explosion  
15 and multiple tank fires, the incident near San  
16 Juan, Puerto Rico.

17                   First, I'd just like to go through a  
18 few housekeeping things for those who weren't  
19 here in the morning.   If we do have an emergency,  
20 and it's not just the alarm on the door that was  
21 ringing before earlier today, if we have an  
22 emergency, we want to go out the doors over here,

1 down the stairs, and then our convening point is  
2 across on Pennsylvania and 22nd, on the corner of  
3 Pennsylvania and 22nd, across the street that  
4 way, so if anything happens, that's our -- our  
5 evacuation route.

6 Secondly, there's restrooms out the  
7 door and to either side, men's and women's on  
8 either side of the elevators, and I think that's  
9 the primary things I need to take care of.

10 Again, I am happy that everyone has  
11 come to this meeting, and as you might note, we  
12 don't have a quorum today. Mr. Ehrlich is our  
13 third Board member, and we don't have a quorum of  
14 the Board, which would require three members, so  
15 we are going to have the presentation of the  
16 report, hear the findings and recommendations,  
17 staff recommendations, and then we'll listen to  
18 public comment.

19 We won't be able to vote on the report  
20 today, but in a way, that's also okay for us. We  
21 welcome the public comment, the feedback, and  
22 we'll try to consider those public comments in

1 the final -- final issuance of the report.

2 So thank you all for attending, and I  
3 hope you -- you sign up for public comment.

4 That brings another administrative  
5 note. We do have a sign-up sheet for public  
6 comment in the hallway, I believe it is. Is that  
7 -- a yellow sheet, I believe, and if you want to  
8 make public comments, sign up there. Of course,  
9 at the end, I will ask if anyone in the room has  
10 public comments.

11 For those watching the webcast, you  
12 can also submit public comments for the record,  
13 and if they are extensive, we'll add them to the  
14 record. If they are shorter, I will probably  
15 read them into the record, so but we welcome your  
16 comments as well if you're watching on the  
17 internet.

18 So welcome everyone, and I am glad to  
19 be here to discuss a very important  
20 investigation.

21 On October 23rd, 2009, a massive fire  
22 and explosion sent huge flames and smoke plumes

1 into the air out of the Caribbean Petroleum  
2 Corporation near San Juan, Puerto Rico.

3 The 2009 accident occurred when  
4 gasoline overflowed from a large above-ground  
5 storage tank, forming a huge vapor cloud that  
6 ignited.

7 While there were no fatalities, the  
8 resulting explosion damaged approximately 300  
9 nearby homes and businesses, and petroleum leaked  
10 into the surrounding soil, waterways, and  
11 wetlands.

12 This incident was eerily similar to  
13 the 2005 Buncefield incident in Hertfordshire,  
14 England. This incident also involved an overflow  
15 of tanks resulting in multiple explosions.

16 The investigation of the Buncefield  
17 incident resulted in recommended regulatory  
18 changes as well as recommended changes in best  
19 practice. It is also notable that the  
20 investigations found -- for the Buncefield  
21 incident -- found deficiencies in safety culture  
22 and deficiencies in how the government was

1 addressing potential increased societal risk due  
2 to growing populations, growing residential  
3 populations, near major hazard -- or major  
4 industrial sites, major hazard industrial sites.

5 One unique and I find very interesting  
6 outcome of the Buncefield incident was the  
7 formation of the Petrochemical Process Standards  
8 Leadership Group, PPSLG. The industry and the  
9 regulator came together to create and deliver  
10 action designed to prevent another incident  
11 similar to the Buncefield incident.

12 I think this model of industry and the  
13 regulator being, as they say in their report,  
14 quote "aligned but not joined" is a very  
15 interesting model which perhaps deserves further  
16 consideration for us in the U.S.

17 The CSB's final report on CAPECO,  
18 which will be presented by our lead investigator,  
19 Vidisha Parasram, who I should have introduced  
20 earlier, I apologize, found that preventing such  
21 catastrophes requires that the tank terminal  
22 industry go above the current regulatory

1 requirements and industry and consensus standards  
2 to implement a reliable safety management system.

3 I look forward to the presentation of  
4 the report and the comments from everyone in the  
5 public today. Thank you.

6 And now, I will ask if Member Engler  
7 has any opening comments?

8 MEMBER ENGLER: Very briefly.

9 There are a wide range of potential  
10 safeguards involving large above-ground petroleum  
11 storage tanks. These include testing and  
12 inspection of materials integrity, employee  
13 training, adequate staffing, lighting, standard  
14 operating procedures, and employee participation.

15 This report looks in particular at the  
16 specific matter of overfill protection in some  
17 depth, and I trust it will be an important  
18 contribution to the prevention-oriented  
19 literature on this subject and will make an  
20 impact in incentivizing tank farm owners and  
21 managers to make safety improvements.

22 Tank farms are obviously very visible.

1 They often occupy a very large footprint. They  
2 are very obvious to the public. I drive up and  
3 down the New Jersey Turnpike a lot, and if you've  
4 been there, you know that there's tank farms  
5 lining both sides, often with petroleum products.

6 And if I go by a chemical facility, at  
7 least one, just to use New Jersey as an example,  
8 if I go by one of about 90, I can check on a list  
9 what some of the information I want to know is,  
10 and I can find out storage, as was referred to  
11 this morning under EPCRA, I can find out  
12 emissions under Toxics Release Inventory, and,  
13 even though it's more difficult to access, I can  
14 see offsite consequence information if I  
15 eventually make it to a federal reading room.

16 But tank farms are not covered by the  
17 EPA RMP program, which means that affected  
18 communities and the neighborhoods surrounding  
19 those communities, and likelihood also that  
20 oftentimes workers, are actually not aware of the  
21 potential risks involved in operation of these  
22 facilities.

1           So if tank farms were actually covered  
2 by EPA's RMP program, it would increase the  
3 public ability to understand the hazards that  
4 they potentially face in their midst. And I look  
5 forward to the report.

6           MEMBER GRIFFON: Thank you.

7           And before Vidisha starts her  
8 presentation, I should have earlier introduced  
9 our panel on the other side of the room. Dr.  
10 Daniel Horowitz is our Managing Director of the  
11 Chemical Safety Board. Phil Myers is a  
12 consultant and expert in this field and has been  
13 a great help in navigating and putting together  
14 the final product. And Vidisha Parasram has been  
15 the primary person on the -- in the Agency to  
16 bring this to the finish line, so we really thank  
17 Vidisha for all her efforts on this.

18           And with that, I'll turn it over to  
19 Vidisha to begin the presentation, if that's --  
20 if that's the plan.

21           MS. PARASRAM: Good afternoon, ladies  
22 and gentlemen, Board Member Griffon, Board Member

1 Ehrlich, and esteemed colleagues.

2 I am here today to present the  
3 investigative team findings for our Caribbean  
4 Petroleum investigation.

5 I'd like to start by providing a  
6 background on the Caribbean Petroleum facility,  
7 provide an incident description and show the  
8 CSB's animation of the incident details, describe  
9 the impact of the explosion on the communities  
10 near the Caribbean Petroleum facility, discuss  
11 the emergency response as a result of the vapor  
12 cloud ignition and multiple tank fires, talk  
13 about our investigative and regulatory findings,  
14 and finally present a summary of the CSB's  
15 recommendations.

16 The Caribbean Petroleum tank fire was  
17 located in Bayamon, Puerto Rico, about  
18 approximately 10 miles from San Juan in the  
19 northern part of the island.

20 The facility started operating as a  
21 refinery in 1955. Ownership changed several  
22 times in the decades following the purchase of

1 the refinery by Gulf Oil Corporation in 1962 and  
2 Chevron Corporation in 1984.

3 First Oil Corporation acquired the  
4 refinery in 1987 and operated it as a 48,000  
5 barrel per day petroleum refining facility until  
6 2000, when the facility closed.

7 In 2001, the facility was reorganized  
8 into a tank farm. In 2010, after the Caribbean  
9 incident, the facility declared -- or Caribbean  
10 Petroleum declared bankruptcy.

11 I'll be referring to Caribbean  
12 Petroleum Corporation as CAPECO throughout this  
13 presentation.

14 The facility encompasses 179 acres, of  
15 which 115 acres are actually developed. It  
16 included a decommissioned refinery located here,  
17 the wastewater treatment area, 48 liquid storage  
18 tanks in a tank farm, bullet tanks, a loading  
19 dock located about 2.5 miles away from the  
20 facility, and it employed 65 employees.

21 On October 23rd, 2009, tank 409, a  
22 five million gallon capacity atmospheric storage

1 tank, was overfilled with gasoline while it was  
2 being transferred from a ship, the Cape Bruny,  
3 located at the CAPECO dock.

4 The overflowing gasoline aerosolized,  
5 forming a large vapor cloud which subsequently  
6 ignited, causing tanks to explode and become  
7 engulfed in fires that lasted over two and a half  
8 days.

9 To better understand the incident, I  
10 will now describe normal site operations at the  
11 CAPECO tank farm.

12 During normal site operations,  
13 gasoline was transferred to above-ground storage  
14 tanks at the tank farm from the CAPECO dock, and  
15 that's just the photo that shows the CAPECO  
16 terminal and the location of the dock two and a  
17 half miles away.

18 Gasoline was pumped to the Puerto Rico  
19 Electric Power Authority and the airport, and  
20 gasoline was then also loaded to trucks at the  
21 facility, tanker trucks, and distributed to the  
22 170 Gulf gas stations that CAPECO owned.

1           The tank farm was staffed by two tank  
2 farm operators and one wastewater treatment  
3 operator during normal operations. If -- it  
4 operated on three rotating eight-hour shifts.

5           With regard to fueling operations,  
6 fuel transfer operations, rather, operators  
7 manually opened and closed valves to transfer and  
8 blend gasoline before pumping it to various  
9 locations on the island.

10           During fuel transfer operations,  
11 operations staff recorded tank levels in the  
12 morning and checked them via the side gauge  
13 hourly. Operations staff also received direction  
14 from the -- the CAPECO Planning and Economics  
15 department.

16           There -- there were two types of  
17 gauging systems that -- or gauging that occurred  
18 at CAPECO to obtain liquid levels inside the  
19 tank. Operations staff manually measured tank  
20 liquid levels inside the tank. For commodity  
21 management, it was common practice for operations  
22 staff and a third-party inspector to manually

1 measure and verify the tank levels before and  
2 after transfer operations to ensure the correct  
3 amount of product was offloaded into the tank.

4 The CAPECO tanks were also equipped  
5 with a float & tape device that measured liquid  
6 levels inside the tank and displayed it on the  
7 gauge mounted on the side of the tank. This is  
8 referred to as an automatic tank gauging system.

9 The facility also had the ability to  
10 view tank levels on a computer. Each side gauge  
11 was equipped with a transmitter card that  
12 transmitted the liquid levels to a computer in  
13 the Operations department, and then after they  
14 obtained the tank levels, Operations staff would  
15 commonly calculate the time it took to fill a  
16 tank.

17 This diagram shows the gauging system  
18 at CAPECO. The manual gauge requires the  
19 operator to physically gauge the tank with a tape  
20 that measures the tank levels, and the automatic  
21 gauge -- sorry, sorry -- the automatic gauge is  
22 referred to as the float & tape that -- on the

1 transmitter card that transmits the liquid levels  
2 to the computer.

3 The CAPECO Planning and Economics  
4 department had a significant role in directing  
5 operations at the tank farm. They determined the  
6 tanks to be filled with product during filling  
7 operations. They rented tank space to petroleum  
8 vendors, and they negotiated a fee for the  
9 duration of time it would take to fill -- during  
10 filling operations should take.

11 CAPECO would be charged this fee if  
12 unloading operations took longer than negotiated.

13 And operators utilized a radio to  
14 communicate with each other. It was necessary to  
15 remain in constant contact during filling  
16 operations because of the manual nature of  
17 operations and because tank size varied, and  
18 operators were often manually switching between  
19 multiple tanks.f

20 In order to understand what occurred  
21 on October 23rd, 2009, I will show you the CSB  
22 animation of the incident.

1 (Animation begins.)

2 NARRATOR: On Wednesday, October 21st,  
3 2009, Caribbean Petroleum Corporation, or CAPECO,  
4 began a routine transfer of more than 10 million  
5 gallons of unleaded gasoline from a tanker vessel  
6 docked two and a half miles from the facility.

7 The only storage tank that was large  
8 enough to hold a full shipment of gasoline was  
9 already in use. As a result, CAPECO planned to  
10 distribute the gasoline among four smaller  
11 storage tanks. This operation would take more  
12 than 24 hours to complete.

13 During transfer operations, one CAPECO  
14 operator was stationed at the dock, while another  
15 monitored valves controlling gasoline delivery at  
16 the terminal.

17 By noon the next day, October 22nd,  
18 two of the five tanks were filled with gasoline.  
19 The operators then diverted the gasoline into two  
20 other tanks, tanks 409 and 411.

21 CAPECO used a simple mechanical device  
22 consisting of a float and automatic measuring

1 tape to determine the liquid level inside the  
2 tanks. An electronic transmitter card sent the  
3 liquid level measurements to the control room,  
4 but the transmitter card on tank 409 was out of  
5 service, so operators were required to manually  
6 record the tank level readings once every hour.

7 At 10 p.m. the night of the 22nd, as  
8 tank 411 reached maximum capacity, operators  
9 fully opened the valve to tank 409. At that  
10 time, an operator read the level of tank 409 from  
11 the side gauge and reported it to his supervisor.

12 The supervisor estimated that tank 409  
13 would be full at 1 a.m. But shortly before  
14 midnight, tank 409 started to overflow. Gasoline  
15 sprayed from the vents, forming a vapor cloud and  
16 a pool of liquid in the tank's containment dyke.

17 The CSB determined that a total of  
18 nearly 200,000 gallons of gasoline, the  
19 equivalent of 20 full tanker trucks, was released  
20 from the six vents on the tank.

21 On a warm, windless night, the  
22 gasoline vapor cloud grew to cover an area of 107

1 acres.

2 At midnight, the tank farm operator  
3 was ready to perform the hourly check of tank  
4 409, but before reaching the tank, he noticed a  
5 strong odor of gasoline.

6 He alerted the dock operator to shut  
7 off the flow of gasoline to the tank. The tank  
8 farm operator and another operator met the  
9 supervisor at the edge of the terminal. There,  
10 they observed a white fog rising approximately  
11 three feet above the ground.

12 The supervisor sent one operator to  
13 the security gate to stop anyone from entering  
14 the site. Then, the supervisor and the tank farm  
15 operator drove to an elevated point away from the  
16 cloud to try to identify the source of the leak.

17 Meanwhile, the pooled gasoline flowed  
18 through open valves in the containment dyke  
19 toward the wastewater treatment area. There, the  
20 vapor reached electrical equipment, which ignited  
21 the cloud.

22 A flash fire raced back toward the

1 storage tanks. Seven seconds later, there was a  
2 massive explosion, registering 2.9 on the Richter  
3 scale.

4 The time was 12:23, approximately 26  
5 minutes after the overflow began. Soon, 17 of  
6 the facility's storage tanks were engulfed in  
7 flames.

8 Fortunately, the three CAPECO  
9 employees escaped the tank farm, and there were  
10 no fatalities.

11 Flames from the explosion could be  
12 seen from as far as eight miles away. The  
13 shockwave damaged approximately 300 nearby homes  
14 and businesses. Fires continued to burn for over  
15 two days.

16 (Animation ends.)

17 MS. PARASRAM: The CAPECO explosion  
18 and multiple tank fires resulted in significant  
19 community and environmental impact, and actually  
20 elicited a large emergency response.

21 This map shows the communities  
22 neighboring the CAPECO tank farm. They include

1 the Catano community, the Puerto Blanco  
2 community, and an Army installation unit called  
3 Fort Buchanan.

4 All of them are located within one and  
5 a half to five miles from the tank farm fence  
6 line.

7 In the communities, over 48,000 people  
8 or residents resided there, and the -- Puerto  
9 Blanco actually experienced the most damage, with  
10 over 250 homes that were damaged as a result of  
11 the concussion wave, and Catano had about 289  
12 homes that were assessed, and 25 were completely  
13 condemned.

14 The Army installation unit, Fort  
15 Buchanan, experienced over \$5 million worth of  
16 damage as a result of the explosion and fires.

17 And the Puerto Rico Government, as a  
18 result of this accident, it happened in the  
19 middle of the night, they had to relocate a  
20 maximum security prison of 152 inmates in the  
21 middle of the night because of its close  
22 proximity to the facility.

1           As I mentioned, there -- the incident  
2 also resulted in a significant emergency response  
3 from federal and local responders. It involved  
4 530 firefighters and 900 National Guardsmen  
5 responded.

6           A federal emergency order was declared  
7 by the President, and FEMA awarded \$3.4 million  
8 to 27 municipalities and agencies, all because of  
9 an industrial fire at a tank farm.

10           This -- the incident, as I said,  
11 occurred in the middle of the night, while most  
12 people were asleep in these communities. After  
13 the initial explosion and fire, residents of  
14 nearby communities were told to evacuate, but  
15 they were actually told to evacuate by local  
16 police and responders going -- going through the  
17 streets using a blowhorn to tell them to evacuate  
18 because no one was sure what was going on, and  
19 people started running through the streets and  
20 weren't given direction as to where to go and  
21 shelter in place, or where to evacuate to, so the  
22 entire scene was incredibly chaotic.

1           This video will give you a glimpse of  
2 what the nearby community experienced that night.

3           (Video played.)

4           MS. PARASRAM: Now imagine waking up  
5 to that.

6           The incident also resulted in  
7 significant environmental impact to the nearby  
8 area surrounding Caribbean.

9           Contaminated runoff was released into  
10 a nearby creek called Malaria Creek and the  
11 wetlands adjoining the Caribbean site and  
12 stormwater channels.

13           EPA -- CAPECO and EPA collected and  
14 shipped offsite an estimated 170,000 gallons of  
15 oil and 22 million gallons of contact water as a  
16 result of this incident.

17           The facility was actually fined by EPA  
18 \$8.2 million, and CAPECO declared bankruptcy in  
19 August 2010, forcing EPA to assume responsibility  
20 for the cleanup.

21           Now, similar catastrophic incidents  
22 like CAPECO thankfully occur at a low frequency,

1 but result in significant consequences when they  
2 do occur. Therefore, it is necessary that we  
3 learn from them and work towards preventing them.

4 Unfortunately, a very similar incident  
5 to CAPECO occurred, as Board Member Griffon  
6 mentioned in his opening comments, in England in  
7 2005.

8 On December 11th, 2005, a gasoline  
9 storage tank overfilled creating a vapor cloud  
10 that ignited at the Buncefield Terminal in the  
11 United Kingdom.

12 The overfilling tank had a gauge that  
13 allowed operators to monitor filling operations  
14 with an independent high-level switch that  
15 allowed for automatic shutdown of filling  
16 operations if the tank overfilled, but both were  
17 out of service at the time of the incident.

18 The explosion generated significant  
19 blast pressure, resulting in additional loss of  
20 containment that led to fires and other damage  
21 involving 22 tanks.

22 Fortunately, like CAPECO, this

1 incident occurred earlier in the morning, at 6  
2 a.m., and there were no fatalities, but 43 people  
3 were injured, and the damage to nearby commercial  
4 and residential property equated to about \$1.5  
5 billion. The fires also burned for four days.

6 The United Kingdom, unlike the United  
7 States, classifies tank terminals storing  
8 gasoline as high-tier or highly hazardous  
9 facilities and requires that these facilities use  
10 a safety management system approach to manage all  
11 facility operations.

12 A safety management system is a  
13 systematic approach to managing safety, which  
14 includes organizational structures,  
15 accountabilities, policies, and procedures.

16 The Buncefield incident caused the  
17 United Kingdom to do a comprehensive review of  
18 their regulatory requirements governing tank  
19 terminals like Buncefield's storing gasoline.

20 The regulator now requires an  
21 independent automatic overfill prevention system  
22 and high-integrity safety instrumented systems,

1 moving towards treating Buncefield-like  
2 facilities as high reliability organizations.

3 The Buncefield report emphasized that  
4 controlling the risks associated with a major  
5 incident like Buncefield and CAPECO requires an  
6 integration of safety integrity levels at high  
7 hazard sites specifically addressing containment  
8 of dangerous substances and process safety, with  
9 mitigation planning against offsite impact;  
10 preparedness of emergency response, and we saw a  
11 breakdown of that at the Caribbean facility  
12 during the Caribbean response; land use planning  
13 for a controlling societal risk; and regulatory  
14 enforcement at these high-hazard facilities.

15 Now, in addition to the Buncefield  
16 incident, the CSB identified 15 other incidents  
17 involving overfills and spills that occurred  
18 around the world at tank terminals. On January  
19 7th, 1983, a similar incident occurred at the  
20 Texaco Oil Company tank terminal in Newark, New  
21 Jersey.

22 A gasoline vapor cloud exploded when

1 a 1.76 million gallon capacity storage tank  
2 overflowed, resulting in one fatality and 24  
3 injuries.

4 Inadequate monitoring of the rising  
5 gasoline level in the storage tank during filling  
6 operations contributed to the overflow,  
7 explosion, and subsequent fires.

8 A National Fire Protection Association  
9 report on the incident attributed the root causes  
10 to errors in calculating the available space and  
11 pumping rates.

12 Equipment damage was observed for as  
13 far as 1500 feet away from the exploding tank.  
14 The overflowing tank had manual-level controls,  
15 and the facility also had no documentation of  
16 previous liquid level monitoring in hours leading  
17 up to the explosion. In fact, the last checks on  
18 the levels were done 24 hours prior.

19 Another incident occurred at the  
20 Indian Oil Company in Jaipur, India, just about a  
21 week after the Caribbean incident.

22 On October 29th, 2009, four operators

1 were transferring gasoline to a tank when the  
2 delivery line developed a large leak which  
3 continued unabated for 75 minutes after fumes --  
4 after fumes overcame two of the Indian Oil  
5 Company workers.

6 The pooling fuel migrated through an  
7 open dyke drain system to storm drain, producing  
8 a large vapor cloud.

9 The cloud was ignited by either non-  
10 intrinsically-safe electrical equipment or a  
11 vehicle startup, and the resulting explosion and  
12 fireball engulfed the entire site.

13 Fire affected 11 tanks, and the fire  
14 persisted for 11 days. The incident resulted in  
15 11 fatalities, 6 of them from the Indian Oil  
16 Company, and the other fatalities resulted in --  
17 in the nearby facilities to the -- to the tank  
18 farm.

19 Among -- among the 39 recommendations  
20 that the Indian government issued in their  
21 report, one was for an independent hazard  
22 operability study, or risk assessment, and

1 another addressing automated operations and  
2 improving instrumentations and alarms at tank  
3 terminals storing petroleum.

4 Another incident we identified was at  
5 the -- a terminal in Huntington, Indiana, the  
6 Gladieux Trading and Marketing facility, and this  
7 incident was an overflow when a pump that was  
8 transferring product was left on at the end of a  
9 shift.

10 The high and high high level safety  
11 alarms activated, but it was hidden from view on  
12 the alarm monitoring screen, so human factors  
13 deficiencies.

14 An offsite-contracted employee spotted  
15 the product overflow from the tank 157 minutes  
16 after the overflow occurred and alerted the  
17 control room operator to the incident, so  
18 fortunately, there was no catastrophic incident  
19 from that -- that incident.

20 Now, the CSB found, using the EPA's  
21 Toxics Release Inventory data, that in 2012,  
22 there were almost 3,000 bulk above-ground storage

1 tank terminals located within one mile of  
2 communities with greater than 300,000 residents.

3 The CSB actually had a really  
4 difficult time finding data on tank terminals  
5 that were publically available. We saw -- we  
6 bought some data in the past and found that the  
7 TRI was the closest thing we had to identifying  
8 the number of facilities in the country and to  
9 explain the magnitude of the problem.

10 The CAPECO incident resulted from a  
11 number of systemic failures at the CAPECO site.  
12 In our report, we used James Reason's "Swiss  
13 Cheese Model" to demonstrate the breakdown of  
14 multiple layers of protection and lack of  
15 safeguards that resulted in the overfill of tank  
16 409.

17 The investigative team found a large  
18 number of safety management system deficiencies.  
19 Again, safety management system is a systematic  
20 approach to addressing safety at all levels of an  
21 organization.

22 These deficiencies include a poorly

1 maintained level control system, lack of a  
2 preventative maintenance system or program, human  
3 factors deficiencies, and human factors refer to  
4 environmental and organizational job factors and  
5 human and individual characteristics which  
6 influence behavior at work in a way which can  
7 affect health and safety.

8           And then there was a lack of  
9 additional layers of protection, or relying on  
10 only one layer of protection to prevent an  
11 overfill.

12           And I'll go through all of these in  
13 detail.

14           So we found that there was a breakdown  
15 in the level control and monitoring system at the  
16 Caribbean facility. Safety-critical equipment  
17 were prone to failure. On the night of the  
18 incident, the transmitters for tank 107 and 409  
19 were not receiving data from the side gauge.  
20 Therefore, the data on the tank liquid levels and  
21 the calculated fill rate for the tank was not  
22 available to the operators in real time.

1           The float & tape device was prone to  
2 failure. The gear mechanism can disengage,  
3 resulting in inaccurate readings and disrupts  
4 synchronization of the transmitter card. It's  
5 also subject to excessive wear and tear.

6           The computer monitoring system was  
7 often compromised by outages from lightning  
8 strikes and accidental breakage of computer  
9 cables due to maintenance activity at the time at  
10 the tank farm.

11           And the transmitters that sent the  
12 data to the computer were also susceptible to  
13 electromagnetic interference, and frequently  
14 needed replacing after lightning storms.

15           CAPECO also took weeks to replace the  
16 fault transmitters, and CAPECO operators found  
17 the computer system to be unreliable.

18           So after completing hourly rounds, the  
19 operators would actually just manually calculate  
20 the time it took to fill the tank, and through  
21 testimony, we found that they were doing that for  
22 decades.

1           This -- this is just -- this schematic  
2 just shows what was available to Caribbean at the  
3 time of the incident, so they did have a float &  
4 tape device to the side gauge, but they did not  
5 have the transmitter card transmitting it into  
6 the computer in the operations rooms, and so the  
7 only information that that operations staff had  
8 was from the side gauge, and -- because they had  
9 measured the tank before filling operations  
10 started earlier that day.

11           We also found that there was a poor  
12 preventative maintenance program at CAPECO.  
13 EPA's inspection reports from 1992 to 2004 found  
14 a lack of investment in equipment at the tank  
15 farm.

16           For the 12-year period, SPCC  
17 inspections revealed problems with leaking  
18 transfer valves, leaking product lines,  
19 insufficient secondary containment, failure to  
20 lock valves that could release content, and they  
21 found oil sheen in the dykes and adjacent dykes  
22 at the facility, indicating a migration of oil

1 from a leak or a spill through the dyke drain  
2 valves.

3 A good example of poor maintenance,  
4 preventative maintenance is that the level  
5 transmitter cards for 409 was out of service, as  
6 I previously stated, and the facility operations  
7 staff was actually waiting for parts, and despite  
8 frequent outages, they were not -- the parts  
9 weren't being -- or the cards weren't being  
10 replaced promptly enough.

11 Caribbean also had a history of  
12 overfills and spills at CAPECO that we found in  
13 the records. They had 15 overfills and spills  
14 from 1992 to 1999 and 3 after 2005.

15 The incidents occurred from filling,  
16 draining, or transferring material between tanks  
17 or via pipeline to the -- to the storage tanks,  
18 and they resulted from valves in the open  
19 position, tank gauge malfunction, or corrosion of  
20 pipes or the tank shell corrosion.

21 The investigative team also identified  
22 a number of human factors deficiencies. We found

1 that there was poor lighting in the tank farm,  
2 and it made it difficult to observe an overflow.  
3 Lighting in the tank farm was sparse. Therefore,  
4 operators used flashlights to monitor tank farm  
5 activity and read liquid levels from the tank's  
6 side gauge.

7 A 1999 EPA inspection found  
8 insufficient lighting at the CAPECO tank farm to  
9 detect spills and prevent vandalism.

10 We also found that their operating  
11 procedures were not updated. When the facility  
12 transferred from a refinery to a tank farm, they  
13 were no longer required to adhere to the Process  
14 Safety Management standard, which required  
15 periodic updates of standard operating  
16 procedures.

17 Now, the last update we saw on the  
18 procedures occurred in 1999, when the refinery  
19 was in service.

20 So they -- the terminal often had  
21 activities outlined -- they updated -- they did  
22 -- they had a two-page document that -- with

1 procedures for filling operations, but these --  
2 it was just an activities outline, essentially.

3 The terminal often had activity  
4 outlines and checklists, but didn't have standard  
5 operating procedures to instruct employees on how  
6 to perform daily activities during filling  
7 operations.

8 And the Puerto Rico Occupational  
9 Health and Safety Administration issued a serious  
10 violation to Caribbean for lacking filling  
11 procedures during transfer operations.

12 Additional human factors deficiencies  
13 that we identified were differing valve designs  
14 that made it difficult to tell whether the  
15 secondary containment valves were open or closed.  
16 This is important because we identified that the  
17 -- the secondary containment valve was actually  
18 in the open position, which allowed gasoline to  
19 migrate to the wastewater treatment area and  
20 subsequently ignite.

21 We also found that there was a lack of  
22 sufficient staffing for fuel transfer operations.

1 Offloading to multiple tanks required more than  
2 one operator to open the valves, and so operators  
3 will often -- what they did, this workaround, was  
4 to crack a valve for the next tank in line to be  
5 filled to relieve the pressure on the line.

6 And more importantly, we found that  
7 there was just a reliance on one layer of  
8 protection to prevent an overfill incident.

9 There was no high-level alarm to measure tank  
10 levels, and there was -- there -- the tanks were  
11 not equipped with a redundant or independent  
12 level alarm.

13 Now, an independent level alarm is --  
14 is a sensor that is completely independent from  
15 the already-existing tank gauging system, so at  
16 Caribbean, they had the float & tape, and they  
17 had the side gauge, and an independent alarm  
18 would be another independent sensor to provide  
19 liquid levels to the tank.

20 Overall, what we saw was all of the  
21 layers of deficiencies in protection broke down.  
22 There was this inadequate level control and

1 monitoring system, and the facility actually had  
2 no independent level alarm, no automatic overflow  
3 prevention system, and this led to the overflow  
4 of tank 409.

5 Now both the EPA and OSHA standards  
6 apply to tank terminals storing petroleum like  
7 Caribbean, and I will now go through our  
8 regulatory findings.

9 The -- the Clean Air Act general duty  
10 clause, so the Environmental Protection Agency  
11 has various statutes under the Clean Air Act  
12 Amendments of 1990 and the Clean Water Act that  
13 are pertinent to our investigation and to above-  
14 ground storage tanks storing petroleum.

15 The general duty clause applies to  
16 protect public -- exists to protect public living  
17 near facilities. It requires covered facilities  
18 identify hazards to prevent and minimize the  
19 effect of an accidental release, and the Clean  
20 Air Act general duty clause amendment -- general  
21 duty clause lacks -- however, we found that it  
22 lacks specific guidance on preventing accidental

1 releases from -- from tank terminals storing  
2 petroleum, or this type of flammable liquid, NFPA  
3 704 Class 3 flammable liquids, and I'll explain  
4 what I mean by that.

5 We also found deficiencies in the list  
6 rule and Risk Management Program could have  
7 prevented this accident or contributed to  
8 preventing this accident.

9 The Clean Water Act, the Spill  
10 Prevention, Control, and Countermeasure plan --  
11 or rule covers tank terminals and the Facility  
12 Response Plan covers tank terminals.

13 Now, the EPA Risk Management Program,  
14 in 1996, EPA created the Risk Management Program  
15 to address accidental releases, covering  
16 facilities storing listed flammables and toxic  
17 chemicals above the threshold quantity are  
18 required to submit a risk management plan to EPA,  
19 conduct risk assessments, and analyze worst-case  
20 scenarios.

21 They are also required under the RMP,  
22 the Risk Management Program, to adhere to

1 recognized and generally accepted good  
2 engineering practice, or RAGAGEP.

3 Only facilities storing NFPA 704 Class  
4 4 flammable liquids are covered under RMP, so  
5 Class 4 flammable liquids include pentene or  
6 acetylene highly flammable liquids.

7 Class 3 liquids are characterized as  
8 gasoline or acetone, and Class 2 would be diesel  
9 fuel, and Class 1 is mineral oil.

10 So RMP covers Class 4 liquids, and  
11 this -- EPA initially recognized the facilities  
12 storing Class 3 flammable liquids could pose an  
13 explosion hazard, but following an industry  
14 petition in 1996, EPA asserted that the general  
15 duty clause actually is -- their coverage is  
16 sufficient for Class 3 flammable liquids, but  
17 what we're saying here is that clearly, the  
18 hazard for an accidental release occurs -- can  
19 occur with Class 3 flammable liquids like  
20 gasoline.

21 So gasoline or all the component parts  
22 of gasoline are actually exempt from RMP because

1 they are actually exempt from the list rule.

2 With regard to the Clean Water Act,  
3 the Spill Prevention, Control, and Countermeasure  
4 requirements gather oil discharge. It was first  
5 promulgated in January of 1974 and has since been  
6 updated a number of times.

7 Covered facilities must develop a plan  
8 detailing steps to prevent and control oil  
9 discharge to navigable waters and shorelines.

10 SPCC has requirements for tank  
11 overfill protection. It requires covered  
12 facilities to protect -- provide overfill  
13 protection for each tank.

14 Subject facility -- they include  
15 constantly attended alarms, high-liquid-level  
16 pump cutoff devices to stop liquid flow into a  
17 tank at a previously established level. They  
18 also could choose from fast response system as a  
19 digital computer or a -- to determine liquid  
20 levels in the tank, and they have to regularly  
21 test the level sensor they choose, but SPCC only  
22 requires that the facility choose one of these

1 options, so one layer of protection to prevent  
2 against an overflow, not multiple, or even a  
3 redundant or independent alarm.

4 The -- the compliance history at  
5 Caribbean with SPCC is varied, and in 1996, EPA  
6 actually cited CAPECO for not employing  
7 engineering controls, which would be the high-  
8 level alarms, high-liquid-level pump cutoffs that  
9 I mentioned, direct audible -- or signal  
10 communication between the tank gauger and pump  
11 stationer, fast response system like a telepulse  
12 system or computer-operated system to demonstrate  
13 tank levels.

14 So they were cited for not employing  
15 engineering controls in 1996, and in 1999, the  
16 facility had an asphalt tank overflow, and EPA  
17 again cited them for not implementing failsafe  
18 engineering such as high-level alarms to prevent  
19 a spill.

20 In 2010, after the incident, EPA cited  
21 CAPECO for not employing failsafe engineering  
22 again, but the facility contended that the float

1 & tape device connected to the computer with the  
2 transmitter card would actually satisfy SPCC  
3 requirements.

4 So the -- but the facility declared  
5 bankruptcy and has since been sold.

6 The CSB found that SPCC also lacks  
7 data on the covered facilities. In 2008, a  
8 Government Accountability Office report found  
9 that EPA lacks information on the universe of  
10 facilities it covers, and this hinders the  
11 ability of the program to effectively regulate  
12 the covered entities, and it also hinders their  
13 ability to determine inspection priorities and  
14 evaluate program goals.

15 And in 2012, a report found that EPA  
16 lacked understanding of the compliance status of  
17 both SPCC and facility response -- and facilities  
18 subjected to FRP, or to facility response plan  
19 requirements, because -- because of data  
20 collection limitations.

21 Now, OSHA, the Occupational Safety and  
22 Health Administration, protects workers from

1 hazards at workplace, and OSHA's Flammable and  
2 Combustible Liquids standard applies to tank  
3 terminal facilities storing petroleum products.

4 Although they are not covered under  
5 PSM standard, tank terminals can benefit from the  
6 hazard assessments required under the PSM  
7 standard.

8 So what we found was that covered tank  
9 terminals containing flammable materials are  
10 subject to regulatory coverage under OSHA's  
11 Flammable and Combustible Liquids standard,  
12 1910.106.

13 However, OSHA adopted the 1968 version  
14 of NFPA 30, Flammable and Combustible Liquids  
15 Code, and -- and this code offers no guidance on  
16 overfill prevention at terminals -- terminal  
17 facilities during transfer of flammable or  
18 combustible liquids.

19 While recent versions require limited  
20 overfill protection, OSHA has not updated  
21 1910.106 to include newer versions of NFPA 30 or  
22 other updated good engineering practices.

1           So Puerto Rico OSHA actually cited the  
2 Caribbean facility under 1910.106 for endangering  
3 the lives of workers but couldn't cite them for  
4 overflow prevention because the standard doesn't  
5 have it.

6           Now, OSHA's Process Safety Management  
7 standard, 1910.119, is a performance-based  
8 standard that requires covered entities such as  
9 refineries and chemical plants to implement a  
10 safety management system approach to prevent  
11 accidental releases from highly hazardous  
12 processes.

13           PSM requires periodic audits, process  
14 hazard analysis, and a management of change  
15 process.

16           The process hazard analysis is a  
17 thorough, orderly, systematic approach for  
18 identifying, evaluating, and controlling the  
19 hazards of processes involving highly hazardous  
20 chemicals.

21           The -- if -- under PSM, the employer  
22 must perform an initial process hazard analysis

1 on all processes covered by the PSM standard, and  
2 they have to periodically update this.

3 The PHA methodology to address factors  
4 such as engineering -- addresses factors such as  
5 engineering administrative controls and  
6 appropriate detection methods, including process  
7 monitoring and control instrumentation with  
8 alarms.

9 So the standard -- PSM elements like  
10 -- like PHA would -- could have -- if -- if the  
11 CAPECO tank farm were subjected to elements of  
12 PSM like the PHA, the process hazard  
13 requirements, it may have helped prevent the  
14 accident because they would have identified the  
15 hazard, they would have identified the proximity  
16 to the community and have to design their  
17 operations to be safe, theoretically.

18 So the CSB reviewed the API's, the  
19 American Petroleum Institute's Overfill  
20 Protection for Storage Tanks in Petroleum  
21 Facilities standard, API 2350, and we have an  
22 extensive review in our report, but the summary

1 of it is that the -- the standard provides  
2 minimum overfill and damage prevention practices  
3 for above-ground storage tanks in petroleum  
4 facilities, including refineries, marketing  
5 terminals, bulk plants, pipelines, that receive  
6 flammable and combustible liquids.

7 It recommends an overfill prevention  
8 system be supported by a risk assessment, but  
9 there is very limited guidance on how to conduct  
10 a thorough risk assessment at these facilities,  
11 and this is -- this is the standard, industry  
12 standard. We feel that there should be a more  
13 robust guidance on conducting a risk assessment.

14 We also found that there really is a  
15 lack of comprehensive industry standard for  
16 operations at tank farms, including overfill  
17 prevention.

18 The International Code Council  
19 develops international fire codes through  
20 consensus process. Puerto Rico adopted the  
21 International Fire Code, and the 2009  
22 International Fire Code section has overfill --

1 has overfill prevention requirements.

2 It requires the use of an overfill  
3 prevention system for each tank over -- storing  
4 over 1,200 gallons of flammable liquids falling  
5 within Class 1, 2, or 3A.

6 Under the standard, under ICC or the  
7 International Fire Code, gasoline is considered  
8 Class 1B liquid, and they are required to not  
9 fill the tank in excess of 95 percent of its  
10 capacity, and they should install audible and  
11 visual alarms, reduce the flow rate to under 15  
12 gallons per minute in a system, but they only  
13 still require one level of overfill and no risk  
14 assessment for -- to address -- to identify the  
15 hazards.

16 The National Fire Protection  
17 Association, also a consensus organization,  
18 develops fire codes to consensus process. The  
19 codes can be incorporated by reference or adopted  
20 by state and local jurisdictions. The standards  
21 are voluntary but can, I said, can be referenced  
22 by law.

1           OSHA 1910.106, the Flammable and  
2 Combustible Liquids standard, is based on a 1968  
3 version of NFPA 30, which is why we're also  
4 issuing recommendations under NFPA 30, because we  
5 want OSHA to update 1910.106 with an updated  
6 version of NFPA 30.

7           Current NFPA 30 language only requires  
8 one layer of protection to prevent an overflow of  
9 gasoline. Facilities can choose one of these  
10 options, like gauging a tank at intervals,  
11 equipping a tank with high levels of independent  
12 gauging equipment, and equipment tanks with  
13 independent high-level detection systems to allow  
14 automatic shutdown or diversion.

15           So they can choose from this list, but  
16 they're still only required to do one, and most  
17 people just gauge tanks at intervals, that we've  
18 found.

19           Now, with that, the CSB -- the  
20 investigative team has -- are proposing the  
21 following recommendations to be voted on by the  
22 Board.

1           Our first recommendation is to the  
2           EPA. Now, the exact text of the recommendations  
3           are actually in our report. I am going to go  
4           through the EPA's first recommendation text in  
5           full and OSHA's full recommendation text, but the  
6           rest I'll summarize.

7           So we ask that the EPA revise where  
8           necessary the spill prevention control and  
9           countermeasures, SPCC, FRP, or the Accidental  
10          Release Prevention Program rules to prevent  
11          impacts to the environment and/or public from  
12          spills, releases, fires, and explosions that can  
13          occur at bulk above-ground storage facilities  
14          storing gasoline, jet fuels, blend stocks, or  
15          other flammable liquids having an NFP  
16          flammability rating of 3 or higher.

17          At a minimum, we ask that the EPA --  
18          these revisions incorporate the following  
19          provisions.

20          We want them to ensure that bulk  
21          above-ground storage tank facilities conduct and  
22          document a risk assessment that takes into

1 account the following factors: the existence of  
2 nearby populations in sensitive environments; the  
3 nature and intensity of facility operations;  
4 realistic reliability of tank gauging system; and  
5 the extent and rigor of operator monitoring.

6 These are all deficiencies that we highlighted in  
7 our report.

8           And we want -- we want the EPA to  
9 equip the bulk above-ground storage tank  
10 containers with automatic overfill prevention  
11 systems that are physically separate and  
12 independent from the tank level control system.

13           We also ask that they ensure that  
14 these automatic overfill protection systems  
15 follow RAGAGEP, recognized and generally accepted  
16 good engineering practices.

17           We ask that they are engineered and  
18 operated and maintained -- engineer, operate, and  
19 maintain automatic overfill prevention systems to  
20 achieve appropriate safety integrity levels in  
21 accordance with the International  
22 Electrotechnical Commission 61511, Functional

1 Safety Instrumented Systems for the Process  
2 Industry Sector.

3 And we ask that they remove required  
4 regular -- regularly inspected tests, automatic  
5 overfill protection systems, to ensure their  
6 proper operation in accordance with good  
7 engineering practice.

8 The team also makes a second  
9 recommendation. We ask that the EPA conduct the  
10 survey of randomly selected bulk above-ground  
11 storage containers storing gasoline or other NFPA  
12 flammable -- NFPA 704.3 flammable liquids at  
13 terminals that are considered in high-risk  
14 locations. That's due to the data gap that we  
15 identified in our report.

16 And at an (inaudible), we ask that the  
17 EPA issue appropriate guidance or -- on alerts  
18 similar -- issue appropriate guidance or an alert  
19 similar to the EPA's previously issued Chemical  
20 Safety Alert addressing rupture hazards from  
21 liquid storage tanks, but we're asking that they  
22 do this for overfill, tank overfills at covered

1 facilities.

2 Our fourth recommendation is to OSHA,  
3 the -- we ask that OSHA revise the Flammable and  
4 Combustible Liquids standard to require  
5 installing, using, and maintaining a high-  
6 integrity automatic overfill protection system  
7 with the means of level detection logic control  
8 equipment, and independent means of flow control  
9 from bulk above-ground storage tanks containing  
10 gasoline, jet fuel, other chemical mixtures or  
11 blend stocks, and other flammable liquids having  
12 an NFPA 704 flammability rating or 3 or higher,  
13 to protect from loss of containment.

14 Similar to -- we have very similar  
15 sub-bullets under OSHA. We ask that they're  
16 separate, physically and electronically, from the  
17 tank gauging system, engineered and operated to  
18 meet IEC 61511-SER, and to consider the existence  
19 of nearby populations, the nature and intensity  
20 of operations. They're all very similar.

21 We ask -- recommendation 5 asks that  
22 the International Code Council revise the

1 appropriate section of Overfill Prevention of the  
2 International Fire Code to require an automated  
3 overfill prevention system for bulk above-ground  
4 storage tanks. That considers more than one  
5 layer of protection.

6 And we make a very similar  
7 recommendation here to NFPA 30.

8 And with regards to American Petroleum  
9 Institute, we ask that the API revise 2350 to  
10 require the installation of automatic overfill  
11 prevention systems for existing and new  
12 facilities.

13 We also ask that the -- recommend that  
14 the Board asks API to develop detailed guidance  
15 on conducting a risk assessment for onsite and  
16 offsite impacts of a potential tank overfill  
17 during transfer operations.

18 We ask that they develop a single  
19 publication or resource describing all of the API  
20 standards that are relevant to operations at tank  
21 terminals.

22 With that, it was very long, I

1 appreciate your patience, but I am happy -- thank  
2 you for your time, and I am happy to take  
3 questions.

4 MEMBER GRIFFON: Thank you, Vidisha.

5 We have -- if you look at the agenda,  
6 we just have a brief period for Board questions,  
7 and then we're going to open it up for public  
8 comments. So we're hoping that we get some good  
9 feedback from the group here, and perhaps online  
10 as well.

11 So I'll ask Mr. Engler if you have any  
12 questions for Vidisha or for -- for the panel  
13 here, I suppose, are all available to answer  
14 questions.

15 MEMBER ENGLER: Had the facility  
16 employed multiple automatic overflow protection  
17 systems, would this incident have been prevented?  
18 And I ask that question because it gets to the  
19 core of the report, just to be as clear as  
20 possible about this.

21 MS. PARASRAM: Thank you for your  
22 question, Member Engler.

1           You know, we -- the system that CAPECO  
2 had in place was ineffective, and it was only one  
3 layer of protection. Had they had an independent  
4 alarm, that's a huge what-if scenario, but that  
5 -- that may have -- that wasn't running on the  
6 same system that failed. That could have alerted  
7 the operators to the rising levels in the tank.

8           MEMBER ENGLER: You cited the  
9 Buncefield incident. What impact did the  
10 Buncefield incident have in the United States, if  
11 any, on regulation or consensus standards or best  
12 practices?

13           MS. PARASRAM: That's an incredibly --  
14 a good question, and we actually posed that  
15 question to the EPA during numerous meetings.

16           You know, we found that -- our  
17 regulatory system -- it was difficult for our  
18 regulatory system to learn from international  
19 incidents and enact any changes from -- from an  
20 incident like Buncefield, which is a shame.

21           We know that API 2350, the 2012 draft,  
22 learned from Buncefield and instituted or

1 implemented numerous -- or the requirement for  
2 risk assessment, anyway, but I'd defer to Phil  
3 Myers here.

4 MR. MYERS: Very good question.

5 First of all, to your earlier question  
6 about multiple systems, there is no system that  
7 will work without human factors. That is why the  
8 emphasis is on management systems. It takes a  
9 systematic approach involving equipment,  
10 procedures, testing, training, all management --  
11 management of change, all these things, in order  
12 to make the equipment work reliably.

13 As to API 2350, I chaired that  
14 edition, the last two editions, for the past 10  
15 years. It was published in May of 2013. It was  
16 controversial then, and it will be in the future.

17 API addresses many of the issues that  
18 have been raised. If any of those practices had  
19 been followed, these incidents wouldn't  
20 necessarily have happened.

21 But I'll point out that in Buncefield,  
22 they had a state-of-the-art automatic system, but

1 it failed to work because they didn't understand  
2 how it was supposed to work.

3 So there are practices that seem like  
4 they're simple on the face, but really it's  
5 fraught with complexity and difficulty to  
6 implement.

7 For example, the automatic overflow  
8 prevention system, in some cases they will work  
9 very well. In other cases, or if misapplied, or  
10 if someone doesn't know how to use it, that would  
11 be worse than not putting it in because, as was  
12 the case in Buncefield, reliance on a system that  
13 doesn't work, can you imagine driving your car  
14 and not having confidence that its reliability in  
15 the, say, the airbag is not close to 100 percent?  
16 Well, it's darn close to it, but it still results  
17 in five or ten fatalities a year for unreliable  
18 airbags.

19 So getting the message across, I think  
20 what underlies -- what's really important here is  
21 two things: the management system and doing the  
22 risk assessment so that you can understand what

1 your risks are, and then you can understand how  
2 to deal with those risks.

3 MEMBER ENGLER: Okay, one more  
4 question.

5 Could you comment any more on findings  
6 on staffing levels?

7 I mean, my anecdotal, just to be  
8 clear, not based on any studies, but the tank  
9 farms in some cases at least have had reductions  
10 in staff. These are very big facilities. People  
11 are working often at night and in erratic  
12 schedules.

13 Do you have any further thoughts about  
14 the staffing numbers at least that occurred --  
15 that you found out about through this particular  
16 investigation?

17 MS. PARASRAM: No, we didn't do a  
18 comprehensive human factors analysis on how much  
19 staff would be required to do -- to work at a  
20 tank farm, but we knew that two operators wasn't  
21 sufficient to conduct operations at the Caribbean  
22 facility.

1           They had two operators and then the  
2           wastewater treatment operators, three, but it  
3           wasn't sufficient.

4           MEMBER ENGLER: Add to that?

5           MR. MYERS: Yeah, just to add to that  
6           from what was found at Buncefield.

7           I actually participated with the HSE,  
8           the Health Safety Executive, Chevron, with whom I  
9           worked at the time of the incident was an  
10          operator -- was not the operator, they were a  
11          partner and were absolved of issues related to  
12          its operation, good or bad.

13          In any case, in the work that was done  
14          there, it is clearly documented now, there was  
15          excessive pressures on certain aspects of the  
16          business such as production at the expense of  
17          safety and environmental issues.

18          So that kind of balance can't even be  
19          understood or seen without the management system  
20          because the management system does indeed clearly  
21          look at other things of value, not just to the  
22          corporate owners, but to the other stakeholders

1 who are indeed the public, the environment, and  
2 other people outside of the organization.

3 MEMBER ENGLER: Thanks very much.

4 MEMBER GRIFFON: Thanks, Mr. Engler.

5 And I just have a few, actually along  
6 similar lines of questioning.

7 I am curious if the tank terminals in  
8 general, if this industry ever considered this  
9 sort of incident as worst-case, even prior to  
10 Buncefield, or even after Buncefield, this sort  
11 of vapor cloud explosion, as opposed to just a  
12 overflow and a fire potential. Did they ever  
13 sort of consider this as a worst-case scenario in  
14 their planning, I guess is what I'm -- ?

15 MR. MYERS: It's --

16 MS. PARASRAM: Go ahead.

17 MR. MYERS: -- it hasn't been as well  
18 understood before the Buncefield incident.

19 One of the big lessons learned during  
20 Buncefield was these gigantic vapor clouds that  
21 can form quickly within five minutes under  
22 certain conditions. It doesn't mean that every

1 time there's an overfill, you're going to have  
2 this explosion, but those conditions are well  
3 understood now as a result of the research that  
4 took place in the U.K.

5 So that is kind of a lesson, you could  
6 say, that could be propagated to the general  
7 user, something that is probably not understood  
8 very well today.

9 So for example, the ignition that took  
10 place in both incidents that we're talking about  
11 here and in others occurred well outside the  
12 electrical classification of zones for ignitions  
13 because it wasn't understood that you could get  
14 vapor clouds that size, but it's also now  
15 understood how these things can be prevented, so  
16 there are lessons to be learned by a lot of  
17 people in the industry.

18 So teaching and learning is an  
19 important aspect of this risk reduction.

20 MS. PARASRAM: And I'd like to add  
21 that, you know, in testimony we obtained during  
22 this investigation, we learned specifically that

1 Caribbean had -- at Caribbean Petroleum, they  
2 didn't -- they never pre-planned for multiple  
3 tank fires or multiple explosions. The pre-  
4 planning was restricted to just one failure, one  
5 overfill, one tank fire, and so they were  
6 completely overwhelmed by the magnitude of this  
7 incident when it occurred.

8 MEMBER GRIFFON: But just to follow up  
9 on that, was that a CAPECO phenomenon, or was  
10 that an industry-wide phenomenon, or you don't  
11 necessarily know that?

12 MR. MYERS: For the bigger companies

13 --

14 MEMBER GRIFFON: Yeah.

15 MR. MYERS: -- that know what they are  
16 doing, it's -- the single-tank fire scenario is a  
17 -- a well-supported and well-used practice. In  
18 other words, you don't design for everything  
19 being released at once. It would be like  
20 designing for meteor strikes. That's not done.  
21 Those probabilities are just too low to worry  
22 about, but yet we see these incidents that are

1 very bad, like the meteor strike, occurred.

2 What that results from, really, is a  
3 wide spectrum of practices from the very good  
4 companies to the not-so-great companies and  
5 everything in between, so that issue is of course  
6 complex, as was mentioned earlier in the day, you  
7 know, outlier-type companies, well who is an  
8 outlier and who is to say and who is to judge?

9 So getting people to a minimum best  
10 practice is what's really key here, but no, it  
11 would typically not be a fully engulfed terminal  
12 fire that would be designed to, so that if you're  
13 not going to design for that case, then the  
14 assumption is you're doing a good enough job  
15 including risk assessment and management systems  
16 to ensure that that doesn't happen. Then, in  
17 these cases that we're talking about, those steps  
18 were -- were failed at even the most basic  
19 levels, in the case of Buncefield with  
20 misunderstanding their safeguards, and in the  
21 case of Puerto Rico, without any redundancy in  
22 safety systems.

1                   MEMBER GRIFFON: And just on -- on the  
2 risk assessment, can you -- can you expand a  
3 little more on what exactly -- I am not so  
4 familiar with the current guidance, are they  
5 implementing risk assessment under API 2350, is  
6 that what requires risk assessment?

7                   And -- and how exactly is that done?  
8 Is that done to look at offsite impacts? Is that  
9 done to look -- how is that -- can you describe  
10 that a little bit?

11                   MR. MYERS: Yeah.

12                   One of the reasons that API 2350 was  
13 updated was to incorporate current best  
14 practices. The previous editions, of course,  
15 dealt with old technology. Today, the  
16 instrumentation is much better. You've got self-  
17 diagnostics. You've got high-reliability  
18 equipment.

19                   But dealing with -- I kind of lost my  
20 train of thought.

21                   MS. PARASRAM: Risk assessment.

22                   MR. MYERS: Yeah, the -- as far as

1        what the -- the way risk assessment has been  
2        brought into the picture, one of the updates in  
3        the past -- the last edition of 2350 was to bring  
4        in that model.

5                    Now, that came in large part from  
6        other safety standards, like IEC 61511 for  
7        safety-instrumented systems, or IEC 30100 for  
8        risk assessments.

9                    Unfortunately, all of these documents  
10       say you need to do a risk assessment, but none of  
11       them tell you how. And why is that? It's  
12       because it's very complex, and it's very specific  
13       to the individuals, so it's one size doesn't fit  
14       all in the case of risk assessment. It's a  
15       complex process, difficult to deploy, but if  
16       you're going to avoid these kinds of accidents,  
17       incidents, you have to do some kind of risk  
18       assessment, and so part of it is the onus is on  
19       the owner/user to figure out exactly how to do  
20       that.

21                    MEMBER GRIFFON: And just the last  
22       comment from my work on the Board, this sort of

1 ties in with some of the morning discussion, but  
2 when I had the opportunity to travel to the U.K.,  
3 we actually talked to the regulator, and we were  
4 discussing safety case, of course, and Buncefield  
5 was under a safety case regime at the time of the  
6 incident.

7 And I think it was interesting to me  
8 -- excuse me, they -- the regulator noted that it  
9 -- it -- this incident was pretty transformative  
10 in terms of the way they did their work as a  
11 regulator because they said that at these types  
12 of facilities, which they I think also viewed as  
13 sort of not very complex and, you know, sort of  
14 straightforward, most of what they were doing was  
15 a paper review of the safety cases, and they  
16 didn't have very much experience with boots on  
17 the ground, so to speak, to verify what was put  
18 in the plan was actually taking place, being  
19 maintained, was reliable, was available, et  
20 cetera.

21 So looking at those safety-critical  
22 elements on the ground as opposed to just seeing

1 what was said in the plan, and they said they --  
2 they sort of -- it ended up transforming their  
3 approach to much more emphasis of getting their  
4 regulators out to actually see what was being put  
5 in place rather than just reviewing the paper  
6 plans, so I thought that was a very interesting  
7 result out of the Buncefield incident in the U.K.

8 I don't know, do you have any follow-  
9 up?

10 MEMBER ENGLER: No.

11 MEMBER GRIFFON: And I guess at this  
12 point, we'll turn it open to public comment. I  
13 don't know if we had anyone sign up, so staff, do  
14 you have a list or -- ?

15 Otherwise, we can just open -- open it  
16 up to the floor, and maybe I guess there's a  
17 microphone over by Dr. Horowitz.

18 PARTICIPANT: There's a list.

19 MEMBER GRIFFON: Oh, there's a sign-up  
20 sheet too.

21 And just if you could state your name  
22 and organization for the record, that'd be great,

1       yeah, thank you.

2                   MR. WEAVER:   Sure, thanks Mr. Griffon.

3                   MEMBER GRIFFON:   Sure.

4                   MR. WEAVER:   Is that all right?

5                   MEMBER GRIFFON:   Yes.

6                   MR. WEAVER:   My name is Peter Weaver.

7       I am Vice President with the International Liquid  
8       Terminals Association, ILTA.

9                   And thank you, Vidisha, Ms. Parasram,  
10       for your report.  We've been looking forward to  
11       this, and we've been pleased to speak with you  
12       prior to this.

13                   You know, I have to say, just in terms  
14       of my own experience, so you know how I have been  
15       colored, I accepted my job with ILTA in November  
16       of 2005.  My first day on the job was January of  
17       2006, so everything I've done truly has had  
18       Buncefild moreso than Puerto Rico, but certainly  
19       that reinforces it, color my experience.

20                   And based on a question that you had  
21       asked, Mr. Griffon, I am going to ask Tom, who  
22       just joined ILTA earlier this year, what was it

1 that I made a point of in stressing to you, the  
2 one thing that keeps me up at night, the one  
3 thing that our industry has to avoid?

4 MR. DUNN: Vapor clouds.

5 MR. WEAVER: Created by?

6 MR. DUNN: Gasoline spills.

7 MR. WEAVER: More than that? The  
8 overfills.

9 MR. DUNN: Overfills.

10 MEMBER GRIFFON: Of course, our  
11 transcriber --

12 MR. WEAVER: Well right, exactly, it's  
13 the overfills.

14 MEMBER GRIFFON: Our transcriber will  
15 have problems with that.

16 MEMBER ENGLER: Can you identify  
17 yourself?

18 MR. DUNN: Sorry, the new guy at the  
19 ILTA is Tom Dunn.

20 MEMBER GRIFFON: Thank you.

21 MR. WEAVER: But yes, overfilling  
22 tanks is something that is stressed repeatedly

1 within ILTA's members.

2 To reiterate Board Member Manny  
3 Ehrlich's statement that was read earlier today,  
4 the operating practices at CAPECO were  
5 inadequate, and I certainly share his hope that  
6 there are no other such terminals in the United  
7 States that are operating this way today.

8 I found that the recommendations  
9 actually kind of indict our industry in the U.S.,  
10 implying that more of us do operate with such  
11 archaic safety practices, as we saw at CAPECO,  
12 and I didn't think that really was  
13 representative.

14 I don't generally challenge the  
15 findings at all in the report, but I do somewhat  
16 challenge the recommendations.

17 As Ms. Haas (phonetic) stated this  
18 morning from -- from ACC (phonetic), I think we  
19 need to focus on the fundamentals. I think we  
20 need to utilize API 2350, not rewrite it. I  
21 think we need to enforce SPCC, not expand it.

22 When you look at the incidents at

1 CAPECO from, what was it, '92 to '99, there were  
2 over 15 of them, and that was frankly when they  
3 were PSM-regulated, so let's talk about  
4 enforcement.

5           Putting more demands on the good  
6 actors tends to miss a lot of the failures at the  
7 bad actors, so CAPECO surely -- certainly shows  
8 us poor maintenance in the extreme. I think that  
9 the -- the issue, by your own reporting, is not  
10 inadequate processes, it was a breakdown in  
11 multiple cases of the processes, multiple  
12 breakdowns of multiple processes. This is non-  
13 compliance in the extreme.

14           I didn't see that enforcement really  
15 was culled out in the recommendations as quite as  
16 important a piece as it really needs to be.

17           So here we have a facility with a  
18 known poor track record of environmental  
19 performance. I think your Swiss Cheese slide  
20 that you put up there was a very good one. I  
21 think it's extremely apt, but it seemed to me  
22 that it was somewhat ignored in the

1 recommendations to really cull out just how  
2 important that confluence of missteps by the  
3 operator was.

4           It's very easy as a regulator,  
5 certainly for those who operate inside  
6 Washington, to default to major overhauls of  
7 existing programs, even if those programs have  
8 since been revised, I mean it's been five and a  
9 half years, and several of those programs have  
10 been revised. Certainly 2350 has been revised.  
11 Certainly SPCC has gone through some major  
12 shifts, and in fact that program has reported  
13 several times within ILTA's meeting on how SPCC  
14 has been enhanced, certainly since CAPECO.

15           So I think to really default to that  
16 is, at least to this individual's perception,  
17 perhaps excessive and even not -- not taking away  
18 the responsible lesson to be learned.

19           A couple questions that occurred to  
20 me, just to put on the table as questions. I am  
21 not expecting responses.

22           But I am interested in what

1 enforcement took place at Gladieux, the facility  
2 in 2010. Was enforcement a measure there? Were  
3 there similar compliance shortfalls there as we  
4 saw in CAPECO? Did the investigation look at  
5 those? And to that extent, how many domestic  
6 facilities did the investigative team really  
7 visit to see how things do operate within the  
8 continental United States?

9 I think that would tease out the  
10 extent to which CAPECO was normal or somewhat of  
11 an outlier.

12 Based on my read of the  
13 recommendations, I can't help but conclude,  
14 rightly or wrongly, that more domestic facilities  
15 probably should have been visited to see how  
16 things really happen in practice here.

17 So the recommendations I think would  
18 actually lead to a gold mine for the consulting  
19 community. I think that gold mine would largely  
20 come from the good actors. I think sadly it  
21 would leave largely untouched many of those who  
22 are the bad actors, who, you know, if -- if

1       you're -- you know, if you're struggling to -- to  
2       deal with the existing standards, why would more  
3       standards cause you to do more?

4                 In terms of who is to say who the  
5       outliers are, I would start by saying those who  
6       are non-compliant, those who are repeatedly non-  
7       complaint, those who have violation after  
8       violation after violation. That's -- I would be  
9       happy to point them out as arguably outliers,  
10      certainly relative to those who we have, to the  
11      best of our ability to influence within our  
12      membership, those who are not members of major  
13      trade associations perhaps do not have as much of  
14      a benefit, and I don't want to throw them under  
15      the bus because many of them might be very --  
16      very excellent actors.

17                But certainly, those who are engaged  
18      with the community of best practice sharing do  
19      have some advantages, and that is good, so I hate  
20      to overlay additional things on those who are  
21      already doing the right things for the right  
22      reasons.

1           So I guess, as one who works very  
2 seriously and takes kind of personally the  
3 importance of -- of elevating our industry to be  
4 responsible actors, I have to say I was a little  
5 bit disappointed in -- in the report.

6           I think until we really can discuss  
7 some of these issues, it would be premature to  
8 approve the report. I am not -- as written, I  
9 honestly can't say that I would support the  
10 report as written, unfortunately.

11           I think -- I think it tends to miss a  
12 lot of the -- the key point of this incident that  
13 we all need to learn and take away from, so I  
14 applaud the effort that went into it, I think the  
15 findings were right, and I think it's a perfect  
16 foundation to really have the right conversation  
17 about how do we improve the industry, but I feel  
18 as though recommendations focused on expanding  
19 standards and expanding regulations misses the  
20 point of the fact that the core of the problem  
21 came through shortcomings and violations.

22           Thank you all.

1                   MEMBER GRIFFON: Thank you, Mr.  
2 Weaver, and I'll offer this to you as well as the  
3 other presenters.

4                   If you want to submit more detailed  
5 written comments for the record, we -- we'd  
6 welcome them, so if you have specifics, that  
7 would be --

8                   PARTICIPANT: Mr. Griffon --

9                   MEMBER GRIFFON: Yes?

10                  PARTICIPANT: I had this question  
11 earlier, do you have a time window in mind for  
12 those submissions? I think that would be helpful  
13 for the stakeholder meeting.

14                  MEMBER GRIFFON: That's --

15                  PARTICIPANT: I didn't know how to  
16 answer --

17                  MEMBER GRIFFON: Right, I know, that's  
18 a very good question.

19                  I would -- I would say as soon as  
20 possible, but I would say, you know, I would say  
21 a week is reasonable, you know, so within the  
22 week, we would like them. We are trying to --

1 this is over five years old, so we would like to  
2 finish this report off, I was hoping on my term,  
3 but it may not happen that way.

4 Okay. Any public comments? Yes, go  
5 ahead.

6 Are you -- I have a list too, so --  
7 but go ahead.

8 MR. KUGELMAN: Yes, my name is Paul  
9 Kugelman. I am with Pathfinder Group, which is  
10 my own little consulting company.

11 For full disclosure, I do do work for  
12 DuPont Sustainable Solutions and Pilko &  
13 Associates out of Houston, so -- but this is my  
14 opinion about this work.

15 A question I have to ask is to what  
16 degree do you think that their penalty for not  
17 meeting a schedule influenced people's decisions  
18 relating to this tank overflow? Do you -- was  
19 there any information about that in your  
20 investigation?

21 MEMBER GRIFFON: Well actually, we'd  
22 rather keep this as public comments rather than a

1 --

2 MR. KUGELMAN: Oh --

3 MEMBER GRIFFON: -- question and  
4 answer, but --

5 MR. KUGELMAN: Okay, I am going to  
6 jump --

7 MEMBER GRIFFON: Yeah.

8 MR. KUGELMAN: -- to my point then,  
9 because I just wanted to use that as an example.

10 I have a continuing belief that the  
11 underlying problem, like Mr. Weaver associated,  
12 is that there are bad actors, right?

13 And these kinds of incidents are  
14 driven by a safety culture that just accepts  
15 unacceptable systems.

16 And I -- I think enforcement is very  
17 important, and continued informing the public to  
18 be more vigilant about what's going on around  
19 them regarding these terminals, refineries,  
20 whatever, is extremely important.

21 So I would hope that in your report,  
22 you can figure out some way to communicate that

1 information so that local enforcement and  
2 emergency response people get involved in this.

3 Thank you.

4 MEMBER GRIFFON: Thank you.

5 PARTICIPANT: I hate to say, but  
6 demurrage is a common element within these  
7 transfers. I don't know of a facility that  
8 doesn't have a demurrage component if that timing  
9 is excessive, so it would have to be a management  
10 decision to rush an order as opposed to operating  
11 safely, and I'm sorry if demurrage isn't the  
12 right term, it's very common.

13 MEMBER GRIFFON: Just, we have to  
14 remember we're -- we're online too, so if you  
15 want to make further comments, we have to use the  
16 mic. That's okay.

17 MEMBER ENGLER: And identify yourself  
18 each time please.

19 MEMBER GRIFFON: Right, right.

20 Let me go to the list. I have Trevor  
21 Elliston, is that -- ?

22 MR. ELLISTON: Good afternoon, ladies

1 and gentlemen. Good afternoon, members of the  
2 Board.

3 My name is Trevor Elliston. I am from  
4 Columbia Shipmanagement. We are the technical  
5 managers of the ship which was discharging the  
6 cargo at the time of the incident.

7 We welcome this report. We think that  
8 many of the findings are absolutely correct.

9 We have, however, made two written  
10 submissions to the Board, the first on the 8th of  
11 June, and the second today.

12 The one on the 8th of June, we are  
13 pleased to note that some of the comments have  
14 been taken onboard.

15 There is, however, one particular  
16 point on page 43 where we still have some  
17 residual concern, and that is the comment that  
18 "normal transfer operations from the Cape Bruny  
19 established a maximum allowable back pressure at  
20 100 psig, with a maximum discharge rate of 18,870  
21 barrels per hour."

22 I am not going to talk about the

1 barrels rate, but in fact, there was no maximum  
2 imposed by the Cape Bruny. 100 psi is a minimum  
3 imposed by the people who chartered this ship which  
4 the ship had to provide. It is a subtle  
5 difference.

6 The other concern is page 21 of the  
7 report, which describes the incident itself, and  
8 I think there is a discrepancy between what is  
9 described there in terms of when tanks were open  
10 and closed and what was in the extant  
11 presentation.

12 We do have concerns and ask that this  
13 be looked at in further detail.

14 Otherwise, thank you very much.

15 MEMBER GRIFFON: Thanks for your  
16 technical comments, appreciate it.

17 I have -- and I'm not sure I can get  
18 the last name here, Mark (phonetic) -- starts  
19 with an M maybe, the last name?

20 PARTICIPANT: Mark Wagner?

21 MEMBER GRIFFON: Oh, Wagner, maybe?

22 W, is that a W? @hotmail.com is the email

1 address?

2 (No audible response.)

3 MEMBER GRIFFON: No, no? Okay.

4 And then I have a Clemence M. Savage,  
5 maybe? Clemence Savage?

6 MR. MESAVAGE: My name is Clement  
7 Mesavage. People in the industry call me Clem.

8 Full-time expert tank farms and  
9 pipelines, associated with fire, explosion,  
10 environmental pollution, variance of loss, and  
11 security. Experience with over 1,000 terminals  
12 and over 300 bulk plants, such as being asked by  
13 the previous refiner owner in Saint Croix to come  
14 down to teach the remaining few hundred employees  
15 left on the island how to change from being a  
16 refinery to a terminal.

17 With that background, I just had a  
18 couple minor comments.

19 First off, thank you very much  
20 bringing out the facts, such as lack of SOPs, bad  
21 side gauge, computer gauge off, alarm off, all of  
22 which a subsequent high level of protection may

1 or may not have helped, given the poor facility  
2 manners in place.

3 In this regard, I also thank you that  
4 you made mention that after the first two tanks  
5 were filled, that there was the continuation onto  
6 tank 409 and 107, as I recall.

7 I also know that, in this regard, that  
8 you said that after 409 was filled, that they  
9 went on over to fully open tank 107.

10 I thank you for the third time for  
11 mentioning later that you said that originally  
12 though, when the process started, that the tank 2  
13 being -- subsequently being filled already had  
14 its valve cracked.

15 Tank 409 is here. Tank 107 is here.  
16 The dock is way out here. 409 is further away  
17 than 107.

18 If you start a cheater tank because  
19 you subsequently can go into that tank, or maybe  
20 you have an operator who just wanted to go home  
21 early, maybe you wanted to reduce the merge time,  
22 some facility problem again, if you crack that

1 valve, this rate to the tank that is further away  
2 changes. That is not reflected in the normal  
3 tank gauging tables.

4 In this regard, thanks again for  
5 mentioning that the valve had been cracked and  
6 that subsequently, the valve was fully opened.  
7 Maybe an extra sentence related to the fact that  
8 this could have changed the flow rate, could be  
9 substantially different from what the facility  
10 normally went by on their tank tables.

11 Thank you.

12 MEMBER GRIFFON: Thank you very much.

13 And then I think that does it for the  
14 people signed up, but I think other people had  
15 their hands up or would like to -- I'll start in  
16 the corner. Yeah, yeah, sure.

17 MR. CRIMAUDO: Okay, good afternoon.  
18 My name is Steven Crimaudo. I am Manager for  
19 Downstream Standards for the American Petroleum  
20 Institute.

21 I was involved with gentlemen like  
22 Phil Myers on the -- on the work to, you know,

1 revise and generate the -- the fourth edition of  
2 API 2350.

3 So just sort of a bit of a typo.  
4 You're referring to, let's see, recommendation  
5 09021(r)7 to revise API 2350, in parentheses you  
6 have 2015, let's call it the fourth edition, and  
7 it was published in 2012.

8 I am not sure what your 2015 is  
9 referring to, but the current edition was  
10 published in 2012, and so the point is it's time  
11 for us to work on the new edition. It looks like  
12 your recommendations, the comments we made  
13 earlier to your recommendations were -- were, you  
14 know, were taken into consideration, and you did  
15 revise your original comments and generated  
16 these.

17 We are -- you know, listening to our  
18 ILTA members and listening to Phil, the point is  
19 we're going to look at our -- our fourth edition,  
20 or we're going to bring in experts again. It is  
21 going to be an ANSE standard, which means an  
22 American National Standard, following a little

1 more strict ANSE rules, while we're going to  
2 throw the door even, you know, wider open than we  
3 normally do and look for other industry  
4 representatives.

5 We'll -- we'll, you know, post it for  
6 comment, bring in as many people as we can, have  
7 experts like Phil in the room, and we're going to  
8 revise it to make it even better, not to say that  
9 it's going to be more strict, it will just --  
10 we'll try to make it better. It's a voluntary  
11 engineering and design standard, and it includes  
12 a lot of references to the -- to other codes and  
13 other, you know, IEC codes.

14 The point is we're going to try to  
15 make it better. We're -- it's time for us to  
16 take another look at it and revise it. We're  
17 starting that process now. I -- since everyone  
18 is here, I'd like to make sure, you know, you put  
19 that on your calendar for, let's say, beginning  
20 this year, we're going to be sending notice out  
21 to begin work again and generate the fifth  
22 edition, which it's going to be due in 2017.

1           We'll -- we'll address everything as  
2 best we can. It may be -- it may come out where  
3 the sections we -- we -- that are -- that are  
4 referenced here, and that the recommendations ask  
5 us to revise, they may not change very much.  
6 They may change slightly.

7           That is all. The point is it's time  
8 for us to take another look at it. We're going  
9 to revise it. It will be an American National  
10 Standard, and we look forward to, you know,  
11 participation from the members and from CSB reps.  
12 We always like to have the CSB reps in the room,  
13 and you're welcome to participate.

14           MEMBER GRIFFON: Thank you very much.  
15 Yes, thanks.

16           Now who -- sure.

17           MR. SWACKHAMMER: Hi, my name is Troy  
18 Swackhammer, I am an engineer at the U.S.  
19 Environmental Protection Agency, Office of  
20 Emergency Management. I work in the Oil program  
21 along with Mark Howard, who is also on the line  
22 today too at home.

1 I'd like to just -- I appreciate the  
2 opportunity to provide some commentary and to  
3 build upon what Peter Weaver talked about. I  
4 know Peter knows my colleague Mark Howard, who is  
5 the National SPCC Lead, and I am the National FRP  
6 Lead, at EPA's Office of Emergency Management.

7 With respect to recommendation 1,  
8 again, we appreciate the -- the report. I think  
9 it was -- it was well-written. There are some  
10 comments that we will be submitting to provide  
11 some clarification on a few things, but for the  
12 most part, we appreciate the -- the  
13 recommendations and the findings.

14 One thing in particular with respect  
15 to recommendation 1, the term "risk assessment,"  
16 and Phil Myers talked about risk assessment, I'd  
17 like to take the opportunity to point out that  
18 EPA's FRP regulation includes a hazard evaluation  
19 and vulnerability analysis component as part of  
20 the FRP plan.

21 Appendix F of 40 CFR Part 112 includes  
22 an annotated outline of what is required in terms

1 of minimal essential elements for FRP, which  
2 includes a vulnerability analysis, which in that  
3 vulnerability analysis includes the assessment of  
4 impacts to residential populations, hospitals,  
5 schools, and so forth.

6 So it goes beyond the bugs and bunnies  
7 aspect that is part of EPA's mandate and looks at  
8 the potential impact from a worst-case discharge  
9 from a facility such as these terminals on the  
10 surrounding population.

11 So I'd like to take -- I want to point  
12 that out.

13 Also, as part of the overflow  
14 prevention systems, as Vidisha pointed out, the  
15 SPCC rule includes at 112.8(c)8, the -- the list  
16 of -- of potential options that a SPCC facility  
17 has in their toolbox to -- to select from.

18 And then moving on to recommendation  
19 2, and talking about inspection priorities and  
20 enforcement, as Peter was talking about, EPA's  
21 Office of Emergency Management is responsible for  
22 reg and policy as well as implementation of the

1 SPCC and FRP programs.

2           These programs cannot be delegated to  
3 the states, such as like the NPDES program, so it  
4 is administered through EPA regions. We have --  
5 of course, we have 10 EPA regions around the  
6 country, and they implement the SPCC and FRP  
7 program.

8           And I'd like to take the opportunity  
9 to point out that EPA's inspection priorities  
10 includes SPCC inspections at FRP facilities.

11           Now, FRP facilities are those that  
12 store a million gallons or more and meet one or  
13 more of the harm factors, which include whether a  
14 worst-case discharge could shut down a drinking  
15 water intake or impact fish- and wildlife-  
16 sensitive environments.

17           And of course, once you're subject,  
18 you've got to do that vulnerability analysis.

19           So it is an inspection priority. I'd  
20 like to make mention too that within our -- our  
21 inspection history between 2010 and up to now,  
22 initial compliance at SPCC inspections at FRP

1 facilities is less than 50 percent, so I'd like  
2 to take the opportunity to point out and stress  
3 that inspection and enforcement is an important  
4 aspect of EPA's inspection priorities.

5 So one of the things that in terms of  
6 looking at a survey -- as you might imagine,  
7 conducting survey requires us to go out and do --  
8 to get an OMB control number on a survey, so as  
9 an alternative to a survey, I'd like to point out  
10 that of course with SPCC inspections, there is an  
11 opportunity to gather more information about  
12 overfill prevention equipment and devices and so  
13 forth as a routine operation, looking at their  
14 SPCC plans.

15 Now, since FRP facilities, those like  
16 terminals and refineries, have to have an SPCC  
17 plan and an FRP plan, the SPCC plan is typically  
18 certified by a professional engineer, which that  
19 professional engineer does look at whether the  
20 facility is following good engineering practice.  
21 That's the main mantra of an SPCC plant.

22 So I'd like to just point that out.

1           Moving on to recommendation 3, we're  
2 talking about guidance. In talking to my  
3 colleague Mark Howard, who has authored, along  
4 with Patty Gioffre, our SPCC guidance, which I  
5 also participated in as well, we do intend to  
6 update that SPCC guidance to talk about some of  
7 the recommendations and findings from the report  
8 today as well as emphasizing to our FRP  
9 facilities the -- the importance of not only  
10 overfill protection and stressing that in their  
11 SPCC plan but also looking at chain reaction,  
12 failures with potential for chain reactions.

13           Now, that kind of analysis is not in  
14 the SPCC regulation, but it is in the FRP  
15 regulation, and it's annotated in Appendix F in  
16 terms of the -- the requirement for a facility to  
17 look at -- in fact, all, there's three planning  
18 levels within the FRP rule, small, medium, and  
19 worst-case discharges, particularly at the worst-  
20 case discharge level, they need to assess the  
21 potential for chain reaction failures.

22           Now, it's a small component in the

1 rule, in Appendix F, but it's an important  
2 component, one that we are stressing in our  
3 outreach, The National Institute of Storage Tank  
4 Management conference that was just held in -- in  
5 April. My colleague Mark Howard does a four-hour  
6 short course, and I do a -- on SPCC, and I do a  
7 four-hour short course on FRP.

8 And in those short courses, we take  
9 the opportunity to stress these kinds of things:  
10 the requirement for overfill prevention and the  
11 requirement to do a vulnerability analysis and  
12 assess what the impact could be to surrounding  
13 populations, and the importance of strong  
14 incident command.

15 So those are the things that EPA is  
16 doing in terms of a multi-pronged approach that  
17 we could do here and now, as you can imagine that  
18 doing a rulemaking is, you know, a two-year,  
19 three-year, four-year process, so what we've done  
20 in the Agency is to take a look at what we can do  
21 in the here and now to outreach to our regulated  
22 community in terms of stressing the importance of

1 overfill prevention and doing that risk analysis  
2 that's titled as a vulnerability analysis in the  
3 FRP.

4 So I appreciate the opportunity to  
5 make these comments today, and thank you again  
6 for the report.

7 MEMBER GRIFFON: Thank you very much,  
8 we really appreciate your comments.

9 Do you want to make another follow-up?  
10 Yeah.

11 Question, if anyone else has a public  
12 comment? We're winding down here. I've got one  
13 from the online participants that I'll read into  
14 the record.

15 Please state your name again, just so  
16 we -- .

17 MR. MESAVAGE: Clement Mesavage,  
18 expert tank farms and pipelines systems,  
19 experience includes being an expert witness at  
20 Buncefield.

21 I wanted to make -- first mention that  
22 Mark Howard, his boss, is one of the best people

1 that was ever at EPA, and has been -- and it has  
2 been a blessing for tank farms.

3 SPCC rules demand large tanks have  
4 adequate capacity. This facility is not normal.  
5 It had -- and I'm talking about the Caribbean  
6 facility -- it had been converted from a refinery  
7 to a terminal.

8 It utilized a wastewater treatment  
9 system. Terminals don't use wastewater treatment  
10 systems. And that refinery system, that system  
11 ran out to the individual tank sub-dyke areas for  
12 drainage if it needed to be.

13 If a facility is so lacking in  
14 disregard of SPCC rules as to leave the sub-dyke  
15 valves open, we're not just talking about  
16 explosion. That's not the matter that needs to  
17 be a major investigation.

18 What we're talking about is limiting  
19 the damage. There is no reason for this to have  
20 spread all over the tank farm. That doesn't  
21 happen at a tank farm.

22 Thank you very much.

1 MEMBER GRIFFON: Thank you.

2 Anyone else in the room have a  
3 comment?

4 (No audible response.)

5 MEMBER GRIFFON: It's been a -- been  
6 quite a day. Do you? Yeah, yeah.

7 MS. MASHIERI: Thank you. My name is  
8 Azita Mashieri (phonetic) with the Teamsters  
9 Union Safety and Health Department.

10 I just am just curious, as a safety  
11 and health professional, you know, some of the  
12 things that we discussed this morning kind of  
13 came back up for me, and so I am going to just  
14 pose them, you know, I don't expect an answer.

15 But just given that, you know, it  
16 took, what, six years to, you know, produce the  
17 report, I am just wondering that if -- if in this  
18 instance, you considered issuing some immediate  
19 findings or recommendations so that, you know,  
20 things could be influenced around us?

21 That's one question. Should I just  
22 ask all of my questions?

1           The other question I have is, you  
2 know, who do you plan to disseminate these  
3 findings to, and, you know, what scale? I don't  
4 know if the company is there any longer, but you  
5 know, in general, I am just curious how you plan  
6 to use this, you know, these findings to their  
7 best advantage.

8           And I think the question of repeat  
9 offenders came up, and that is a valid thing, you  
10 know, in OSHA investigations. You have warnings,  
11 you have, you know, in this case, I read that  
12 there were 15 incidents prior to that, and there  
13 were practices, you know, like the way they were  
14 keeping track of things, handwriting and  
15 calculating, so there is some information, it's  
16 like how do we address that issue?

17           You know, if CSB could bear in on  
18 that, I think that would be helpful.

19           And just also about the worker  
20 involvement as a part of PSM, you know, the  
21 worker participation and contribution, I don't  
22 know if that was addressed in there, if that's

1 something that you considered in your interviews  
2 with the workers, you know, just to see if -- I  
3 think that that is something that's important, at  
4 least for us.

5 Thank you.

6 MEMBER GRIFFON: Thank you, thank you  
7 for your thoughts.

8 Oh, yeah, yeah, if you want to, go  
9 ahead, yes, yes.

10 MR. HOROWITZ: Thank you for the  
11 question.

12 And in terms of dissemination and  
13 possibility of earlier recommendations and so  
14 forth, we did learn about those layer of  
15 protection issues, of course, quite early in the  
16 case. As you can see, the regulatory issues  
17 around these terminals are quite complex, and it  
18 has required a lot of dialogue with stakeholders  
19 and still ongoing today as to how best to address  
20 those.

21 So that -- that was not pursued at the  
22 time, but what Ms. Parasram has done very

1 energetically over the last few years is go to a  
2 lot of the above-ground storage tank conferences  
3 and has even recently published an article, I  
4 think, in was it BIC Magazine, trying to get out  
5 to industry the findings of this case because  
6 we're sensitive to how long the case has taken to  
7 reach this point.

8 In terms of further dissemination, the  
9 animation clip that Vidisha showed is set to be  
10 part of a longer video called Filling Blind, and  
11 we hope to release that after the Board's  
12 approval of the final report and get that out to  
13 industry so that it can do some good.

14 Thank you.

15 MEMBER GRIFFON: Thanks, thanks,  
16 David.

17 And I just have one last, from the  
18 online observers, and it comes from G. Reznicek,  
19 R-E-Z-N-I-C-E-K, and it's just one line.

20 "Why do all use the term 'safety  
21 culture'? Would it not be more appropriate to  
22 use 'management culture'?"

1           That opens up a whole big seminar, a  
2           topic I am very interested in, but I think just  
3           for the record, we'll make sure that comment is  
4           on the record.

5           So I -- I want to just thank everyone  
6           for -- for coming today, for your -- for your  
7           comments, and I think end of next week, we'll try  
8           to close out our comments, but if you have more  
9           detailed comments to submit, and those online,  
10          please try to submit them by the end of next  
11          week.

12          Is there a place -- is there a clear  
13          way we submit them?

14          PARTICIPANT: Why don't you send them  
15          to public@csb.gov, and we'll -- the Board will  
16          receive those and the investigative team.

17          MEMBER GRIFFON: Okay, public@csb.gov.

18          And as we said when we started the  
19          meeting this afternoon, we don't have a quorum,  
20          so we are not going to be making a motion to vote  
21          on the report, but you had some very thoughtful  
22          comments that we will consider in the final edits

1 of the report.

2 And thank you all again for coming,  
3 and at this point, we'll adjourn. Thank you.

4 (Whereupon, the meeting went off the  
5 record.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

A			
<b>\$1.5</b> 25:4	<b>Adjournment</b> 2:7	56:21 57:13,17 65:5	<b>attributed</b> 27:9
<b>\$3.4</b> 22:7	<b>administered</b> 91:4	65:12 71:20 86:2,5	<b>audible</b> 42:9 48:10 83:2
<b>\$5</b> 21:15	<b>Administration</b> 36:9	43:22	97:4
<b>\$8.2</b> 23:18	<b>administrative</b> 5:4 46:5	<b>apologize</b> 7:20	<b>audio</b> 1:21
<b>a.m</b> 18:13 25:2	<b>adopted</b> 44:13 47:20	<b>Appendix</b> 89:21 93:15	<b>audits</b> 45:13
<b>ability</b> 10:3 15:9 43:11	48:19	94:1	<b>August</b> 23:19
43:13 75:11	<b>advantage</b> 98:7	<b>applaud</b> 76:14	<b>authored</b> 93:3
<b>able</b> 4:19	<b>advantages</b> 75:19	<b>applies</b> 38:15 44:2	<b>Authority</b> 13:19
<b>above-ground</b> 6:4 8:10	<b>aerosolized</b> 13:4	<b>apply</b> 38:6	<b>automated</b> 29:1 54:2
13:13 29:22 47:3	<b>affect</b> 31:7	<b>appreciate</b> 55:1 82:16	<b>automatic</b> 15:8,20,21
50:13,21 51:9 52:10	<b>afternoon</b> 3:13 10:21	89:1,8,12 95:4,8	17:22 24:15 25:21
53:9 54:3 100:2	80:22 81:1 85:17	<b>approach</b> 25:10,13	38:2 49:14 51:10,14
<b>absolutely</b> 81:8	101:19	30:20 45:10,17 57:9	51:19 52:4 53:6 54:10
<b>absolved</b> 60:11	<b>agencies</b> 22:8	68:3 94:16	55:16 57:22 58:7
<b>ACC</b> 71:18	<b>Agency</b> 10:15 38:10	<b>appropriate</b> 46:6 51:20	<b>available</b> 27:10 30:5
<b>accepted</b> 40:1 51:15	88:19 94:20	52:17,18 54:1 100:21	31:22 33:2 55:13
69:15	<b>agenda</b> 55:5	<b>approval</b> 100:12	67:19
<b>accepts</b> 79:14	<b>ahead</b> 61:16 78:5,7	<b>approve</b> 76:8	<b>avoid</b> 66:16 70:3
<b>access</b> 9:13	99:9	<b>approximately</b> 6:8	<b>awarded</b> 22:7
<b>accident</b> 6:3 21:18 39:7	<b>air</b> 6:1 38:9,11,20	11:18 19:10 20:4,13	<b>aware</b> 9:20
39:8 46:14	<b>airbag</b> 58:15	<b>April</b> 94:5	<b>Azita</b> 97:8
<b>accidental</b> 32:8 38:19	<b>airbags</b> 58:18	<b>apt</b> 72:21	
38:22 39:15 40:18	<b>airport</b> 13:19	<b>archaic</b> 71:11	<b>B</b>
45:11 50:9	<b>alarm</b> 3:20 29:12 37:9	<b>area</b> 12:17 18:22 19:19	<b>back</b> 19:22 81:19 97:13
<b>accidents</b> 66:16	37:12,13,17 38:2 42:3	23:8 36:19	<b>background</b> 11:6 83:17
<b>account</b> 51:1	56:4 83:21	<b>areas</b> 96:11	<b>bad</b> 60:12 64:1 72:7
<b>accountabilities</b> 25:15	<b>alarms</b> 29:2,11 41:15	<b>arguably</b> 75:9	74:22 79:12 83:20
<b>Accountability</b> 43:8	42:8,18 46:8 48:11	<b>Army</b> 21:2,14	<b>balance</b> 60:18
<b>acetone</b> 40:8	<b>alert</b> 52:18,20	<b>article</b> 100:3	<b>bankruptcy</b> 12:10
<b>acetylene</b> 40:6	<b>alerted</b> 19:6 29:16 56:6	<b>asked</b> 69:21 83:12	23:18 43:5
<b>achieve</b> 51:20	<b>alerts</b> 52:17	<b>asking</b> 52:21	<b>barrel</b> 12:5
<b>acquired</b> 12:3	<b>aligned</b> 7:14	<b>asks</b> 53:21 54:14	<b>barrels</b> 81:21 82:1
<b>acres</b> 12:14,15 19:1	<b>allow</b> 49:13	<b>asleep</b> 22:12	<b>based</b> 49:2 59:8 69:20
<b>Act</b> 38:9,11,12,20 39:9	<b>allowable</b> 81:19	<b>aspect</b> 62:19 90:7 92:4	74:12
41:2	<b>allowed</b> 24:13,15 36:18	<b>aspects</b> 60:15	<b>basic</b> 64:18
<b>action</b> 7:10	<b>already-existing</b> 37:15	<b>asphalt</b> 42:16	<b>Bayamon</b> 11:17
<b>activated</b> 29:11	<b>alternative</b> 92:9	<b>asserted</b> 40:14	<b>bear</b> 98:17
<b>activities</b> 35:21 36:2,6	<b>amendment</b> 38:20	<b>assess</b> 93:20 94:12	<b>began</b> 17:4 20:5
<b>activity</b> 32:9 35:5 36:3	<b>Amendments</b> 38:12	<b>assessed</b> 21:12	<b>beginning</b> 87:19
<b>actors</b> 72:6,7 74:20,22	<b>American</b> 46:19 54:8	<b>assessment</b> 28:22 47:8	<b>begins</b> 17:1
75:16 76:4 79:12	85:19 86:22 88:9	47:10,13 48:14 50:22	<b>behavior</b> 31:6
<b>add</b> 5:13 60:4,5 62:20	<b>amount</b> 15:3	54:15 57:2 58:22	<b>belief</b> 79:10
<b>addition</b> 26:15	<b>analysis</b> 45:14,16,22	64:15 65:2,5,6,21	<b>believe</b> 5:6,7
<b>additional</b> 24:19 31:9	59:18 89:19 90:2,3	66:1,10,14,18 89:15	<b>benefit</b> 44:5 75:14
36:12 75:20	91:18 93:13 94:11	89:16 90:3	<b>best</b> 6:18 56:11 64:9
<b>address</b> 3:13 39:15	95:1,2	<b>assessments</b> 39:19	65:13 75:11,18 88:2
46:3 48:14 83:1 88:1	<b>analyze</b> 39:19	44:6 66:8	95:22 98:7 99:19
98:16 99:19	<b>and/or</b> 50:11	<b>associated</b> 26:4 79:11	<b>better</b> 13:9 65:16 87:8
<b>addressed</b> 98:22	<b>anecdotal</b> 59:7	83:9	87:10,15
<b>addresses</b> 46:4 57:17	<b>animation</b> 11:8 16:22	<b>Associates</b> 78:13	<b>beyond</b> 90:6
<b>addressing</b> 7:1 26:7	17:1 20:16 100:9	<b>Association</b> 27:8 48:17	<b>BIC</b> 100:4
29:1 30:20 52:20	<b>annotated</b> 89:22 93:15	69:8	<b>big</b> 59:10 61:19 101:1
<b>adequate</b> 8:13 96:4	<b>ANSE</b> 86:21 87:1	<b>associations</b> 75:13	<b>bigger</b> 63:12
<b>adhere</b> 35:13 39:22	<b>answer</b> 55:13 77:16	<b>assume</b> 23:19	<b>billion</b> 25:5
<b>adjacent</b> 33:21	79:4 97:14	<b>assumption</b> 64:14	<b>bit</b> 65:10 76:5 86:3
<b>adjoining</b> 23:11	<b>anyway</b> 57:2	<b>atmospheric</b> 12:22	<b>Blanco</b> 21:1,9
<b>adjourn</b> 102:3	<b>API</b> 46:21 54:9,14,19	<b>attended</b> 41:15	<b>blast</b> 24:19
		<b>attending</b> 5:2	<b>blend</b> 14:8 50:14 53:11

**blessing** 96:2  
 **Blind** 100:10  
 **blowhorn** 22:17  
 **Board** 1:1,10,11,12,22  
 2:5 3:6,7,7 4:13,14  
 10:11,22,22 24:5  
 49:22 54:14 55:6  
 66:22 71:2 81:2,10  
 101:15  
 **Board's** 100:11  
 **boots** 67:16  
 **boss** 95:22  
 **bought** 30:6  
 **breakage** 32:8  
 **breakdown** 26:11 30:13  
 31:14 72:10  
 **breakdowns** 72:12  
 **brief** 55:6  
 **briefly** 8:8  
 **bring** 10:16 66:3 86:20  
 87:6  
 **bringing** 83:20  
 **brings** 5:4  
 **broke** 37:21  
 **brought** 66:2  
 **Bruny** 13:2 81:18 82:2  
 **Buchanan** 21:3,15  
 **bugs** 90:6  
 **build** 89:3  
 **bulk** 29:22 47:5 50:13  
 50:20 51:9 52:10 53:9  
 54:3 83:12  
 **bullet** 12:18  
 **Buncefield** 6:13,16,20  
 7:6,11 24:10 25:16  
 26:3,5,15 56:9,10,20  
 56:22 57:21 58:12  
 60:6 61:10,10,18,20  
 64:19 67:4 68:7 69:18  
 95:20  
 **Buncefield's** 25:19  
 **Buncefield-like** 26:1  
 **bunnies** 90:6  
 **burn** 20:14  
 **burned** 25:5  
 **bus** 75:15  
 **business** 60:16  
 **businesses** 6:9 20:14

### C

**C** 1:15 2:1 3:1  
 **cables** 32:9  
 **calculate** 15:15 32:19  
 **calculated** 31:21  
 **calculating** 27:10 98:15  
 **calendar** 87:19  
 **call** 83:7 86:6  
 **called** 21:2 23:10

100:10  
 **capacity** 12:22 18:8  
 27:1 48:10 96:4  
 **Cape** 13:2 81:18 82:2  
 **CAPECO** 7:17 12:12  
 13:3,11,14,15,22  
 14:14,18 15:4,18 16:3  
 16:11 17:3,9,13,21  
 20:8,17,22 23:13,18  
 23:22 24:5,22 26:5  
 30:10,11 32:15,16  
 33:12 34:12 35:8 42:6  
 42:21 46:11 56:1 63:9  
 71:4,11 72:1,7 73:14  
 74:4,10  
 **car** 58:13  
 **card** 15:11 16:1 18:2,4  
 32:4 33:5 43:2  
 **cards** 34:5,9  
 **care** 4:9  
 **cargo** 81:6  
 **Caribbean** 1:3 2:3 3:14  
 6:1 11:3,6,10,16 12:8  
 12:9,11 17:3 23:8,11  
 26:11,12 27:21 31:16  
 33:2 34:11 36:10  
 37:16 38:7 42:5 45:2  
 59:21 63:1,1 96:5  
 **case** 58:12 60:13 64:13  
 64:19,21 66:14 67:4,5  
 93:20 98:11 99:16  
 100:5,6  
 **cases** 58:8,9 59:9 64:17  
 67:15 72:11  
 **Catano** 21:1,11  
 **catastrophes** 7:21  
 **catastrophic** 23:21  
 29:18  
 **cause** 75:3  
 **caused** 25:16  
 **causes** 27:9  
 **causing** 13:6  
 **certain** 60:15 61:22  
 **certainly** 69:18 71:5  
 72:7 73:5,10,11,14  
 75:10,17  
 **certified** 92:18  
 **cetera** 67:20  
 **CFR** 89:21  
 **chain** 93:11,12,21  
 **chaired** 57:13  
 **challenge** 71:14,16  
 **change** 45:14 57:11  
 83:15 88:5,6  
 **changed** 11:21 85:8  
 **changes** 6:18,18 56:19  
 85:2  
 **channels** 23:12

**chaotic** 22:22  
 **characteristics** 31:5  
 **characterized** 40:7  
 **charged** 16:11  
 **charted** 82:3  
 **cheater** 84:18  
 **check** 9:8 19:3  
 **checked** 14:12  
 **checklists** 36:4  
 **checks** 27:17  
 **Cheese** 30:13 72:19  
 **chemical** 1:1,10,11,12  
 1:22 3:6 9:6 10:11  
 45:9 52:19 53:10  
 **chemicals** 39:17 45:20  
 **Chevron** 12:2 60:8  
 **choose** 41:18,21,22  
 49:9,15  
 **cite** 45:3  
 **cited** 42:6,14,17,20  
 45:1 56:8  
 **clarification** 89:11  
 **Class** 39:3 40:3,5,7,8,9  
 40:10,12,16,19 48:5,8  
 **classification** 62:12  
 **classifies** 25:7  
 **clause** 38:10,15,20,21  
 40:15  
 **Clean** 38:9,11,12,19  
 39:9 41:2  
 **cleanup** 23:20  
 **clear** 55:19 59:8 101:12  
 **clearly** 40:17 60:14,20  
 **Clem** 83:7  
 **Clemence** 83:4,5  
 **Clement** 83:6 95:17  
 **clip** 100:9  
 **close** 21:21 58:15,16  
 101:8  
 **closed** 12:6 14:7 36:15  
 82:10  
 **closet** 30:7  
 **cloud** 6:5 11:12 13:5  
 18:15,22 19:16,21  
 24:9 26:22 28:8,9  
 61:11  
 **clouds** 61:20 62:14  
 70:4  
 **code** 44:15,15 47:18,21  
 47:22 48:7 53:22 54:2  
 **codes** 47:19 48:18,19  
 87:12,13  
 **colleague** 89:4 93:3  
 94:5  
 **colleagues** 11:1  
 **collected** 23:13  
 **collection** 43:20  
 **color** 69:19

**colored** 69:15  
 **Columbia** 81:4  
 **combustible** 44:2,11,14  
 44:18 47:6 49:2 53:4  
 **come** 4:11 74:20 83:13  
 88:2  
 **comes** 100:18  
 **coming** 101:6 102:2  
 **command** 94:14  
 **comment** 2:6 4:18,21  
 5:3,6 59:5 66:22  
 68:12 81:17 87:6  
 95:12 97:3 101:3  
 **commentary** 89:2  
 **comments** 4:22 5:8,10  
 5:12,16 8:4,7 24:6  
 55:8 77:5 78:4,22  
 80:15 81:13 82:16  
 83:18 86:12,15 89:10  
 95:5,8 101:7,8,9,22  
 **commercial** 25:3  
 **Commission** 51:22  
 **commodity** 14:20  
 **common** 14:21 80:6,12  
 **commonly** 15:15  
 **communicate** 16:14  
 79:22  
 **communication** 42:10  
 **communities** 9:18,19  
 11:9 20:21 21:7 22:12  
 22:14 30:2  
 **community** 20:19 21:1  
 21:2 23:2 46:16 74:19  
 75:18 94:22  
 **companies** 63:12 64:4  
 64:4,7  
 **company** 26:20 27:20  
 28:5,16 78:10 98:4  
 **complaint** 75:7  
 **complete** 17:12  
 **completely** 21:12 37:14  
 63:6  
 **completing** 32:18  
 **complex** 64:6 66:12,15  
 67:13 99:17  
 **complexity** 58:5  
 **compliance** 42:4 43:16  
 72:13 74:3 91:22  
 **component** 40:21 80:8  
 89:19 93:22 94:2  
 **comprehensive** 25:17  
 47:15 59:18  
 **compromised** 32:7  
 **computer** 15:10,12  
 16:2 32:6,8,12,17  
 33:6 41:19 43:1 83:21  
 **computer-operated**  
 42:12

**concern** 81:17 82:6  
**concerns** 82:12  
**conclude** 74:13  
**concussion** 21:11  
**condemned** 21:13  
**conditions** 61:22 62:2  
**conduct** 39:19 47:9  
     50:21 52:9 59:21  
**conducting** 47:13  
     54:15 92:7  
**conference** 94:4  
**conferences** 100:2  
**confidence** 58:14  
**confluence** 73:2  
**connected** 43:1  
**consensus** 8:1 47:20  
     48:17,18 56:11  
**consequence** 9:14  
**consequences** 24:1  
**consider** 4:22 53:18  
     61:13 101:22  
**consideration** 7:16  
     86:14  
**considered** 48:7 52:13  
     61:8 97:18 99:1  
**considers** 54:4  
**consisting** 17:22  
**constant** 16:15  
**constantly** 41:15  
**consultant** 10:12  
**consulting** 1:19 74:18  
     78:10  
**contact** 16:15 23:15  
**containers** 51:10 52:11  
**containing** 44:9 53:9  
**containment** 18:16  
     19:18 24:20 26:7  
     33:19 36:15,17 53:13  
**Contaminated** 23:9  
**contended** 42:22  
**content** 33:20  
**continental** 74:8  
**continuation** 84:5  
**continued** 20:14 28:3  
     79:17  
**continuing** 79:10  
**contributed** 27:6 39:7  
**contribution** 8:18 98:21  
**control** 18:3 29:17 31:1  
     31:15 37:22 39:10  
     41:3,8 46:7 50:8  
     51:12 53:7,8 92:8  
**controlling** 17:15 26:4  
     26:13 45:18  
**controls** 27:14 42:7,15  
     46:5  
**controversial** 57:16  
**convening** 4:1

**conversation** 76:16  
**converted** 96:6  
**core** 55:19 76:20  
**corner** 4:2 85:16  
**corporate** 60:22  
**Corporation** 6:2 12:1,2  
     12:3,12 17:3  
**correct** 15:2 81:8  
**corrosion** 34:19,20  
**Council** 47:18 53:22  
**Counsel** 1:15 3:9  
**Countermeasure** 39:10  
     41:3  
**countermeasures** 50:9  
**country** 30:8 91:6  
**couple** 73:19 83:18  
**course** 5:8 64:5 65:14  
     67:4 70:10 91:5,17  
     92:10 94:6,7 99:15  
**courses** 94:8  
**cover** 18:22  
**coverage** 40:15 44:10  
**covered** 9:16 10:1  
     38:17 40:4 41:7,11  
     43:7,12 44:4,8 45:8  
     46:1 52:22  
**covering** 39:15  
**covers** 39:11,12 40:10  
     43:10  
**crack** 37:4 84:22  
**cracked** 84:14 85:5  
**create** 7:9  
**created** 39:14 70:5  
**creating** 24:9  
**creek** 23:10,10  
**Crimaudo** 85:17,18  
**Croix** 83:13  
**CSB** 16:21 18:17 26:16  
     29:20 30:3 43:6 46:18  
     49:19 88:11,12 98:17  
**CSB's** 7:17 11:8,14  
**cull** 73:1  
**culled** 72:15  
**culture** 6:21 79:14  
     100:21,22  
**curious** 61:7 97:10 98:5  
**current** 7:22 49:7 65:4  
     65:13 86:9  
**cutoff** 41:16  
**cutoffs** 42:8

---

**D**

---

**D** 3:1  
**daily** 36:6  
**damage** 21:9,16 24:20  
     25:3 27:12 47:2 96:19  
**damaged** 6:8 20:13  
     21:10

**dangerous** 26:8  
**Daniel** 10:10  
**darn** 58:16  
**data** 29:21 30:4,6 31:19  
     31:20 32:12 43:7,19  
     52:14  
**David** 1:15 100:16  
**day** 12:5 17:17 33:10  
     64:6 69:16 97:6  
**days** 13:8 20:15 25:5  
     28:14  
**deal** 59:2 75:2  
**dealing** 65:19  
**dealt** 65:15  
**decades** 11:22 32:22  
**December** 24:8  
**decision** 80:10  
**decisions** 78:17  
**declared** 12:9,10 22:6  
     23:18 43:4  
**decommissioned**  
     12:16  
**default** 73:6,15  
**defer** 57:2  
**deficiencies** 6:21,22  
     29:13 30:18,22 31:3  
     34:22 36:12 37:21  
     39:5 51:6  
**degree** 78:16  
**delegated** 91:2  
**deliver** 7:9  
**delivery** 17:15 28:2  
**demand** 96:3  
**demands** 72:5  
**demonstrate** 30:13  
     42:12  
**demurrage** 80:6,8,11  
**department** 14:15  
     15:13 16:4 97:9  
**deploy** 66:15  
**depth** 8:17  
**describe** 11:8 13:10  
     65:9  
**described** 82:9  
**describes** 82:7  
**describing** 54:19  
**description** 11:7  
**deserves** 7:15  
**design** 46:16 63:18  
     64:13 87:11  
**designed** 7:10 64:12  
**designing** 63:20  
**designs** 36:13  
**despite** 34:7  
**detail** 31:13 82:13  
**detailed** 54:14 77:4  
     101:9  
**detailing** 41:8

**details** 11:8  
**detect** 35:9  
**detection** 46:6 49:13  
     53:7  
**determine** 18:1 41:19  
     43:13  
**determined** 16:5 18:17  
**develop** 41:7 54:14,18  
**developed** 12:15 28:2  
**develops** 47:19 48:18  
**device** 15:5 17:21 32:1  
     33:4 43:1  
**devices** 41:16 92:12  
**diagnostics** 65:17  
**diagram** 15:17  
**dialogue** 99:18  
**diesel** 40:8  
**difference** 82:5  
**different** 85:9  
**differing** 36:13  
**difficult** 9:13 30:4 35:2  
     36:14 56:17 66:15  
**difficulty** 58:5  
**digital** 41:19  
**direct** 42:9  
**directing** 16:4  
**direction** 14:13 22:20  
**Director** 1:15,16 10:10  
**disappointed** 76:5  
**discharge** 41:4,9 81:20  
     90:8 91:14 93:20  
**discharges** 93:19  
**discharging** 81:5  
**disclosure** 78:11  
**discrepancy** 82:8  
**discuss** 5:19 11:10  
     76:6  
**discussed** 97:12  
**discussing** 67:4  
**discussion** 67:1  
**disengage** 32:2  
**displayed** 15:6  
**disregard** 96:14  
**disrupts** 32:3  
**disseminate** 98:2  
**dissemination** 99:12  
     100:8  
**distribute** 17:10  
**distributed** 13:21  
**diversion** 49:14  
**diverted** 17:19  
**dock** 12:19 13:3,14,16  
     17:14 19:6 84:16  
**docked** 17:6  
**document** 35:22 50:22  
**documentation** 27:15  
**documented** 60:14  
**documents** 66:9

**doing** 32:21 58:21  
63:16 64:14 67:14  
75:21 94:16,18 95:1  
**domestic** 74:5,14  
**door** 3:20 4:7 87:2  
**doors** 3:22  
**Downstream** 85:19  
**Dr** 10:9 68:17  
**draft** 56:21  
**drain** 28:7,7 34:1  
**drainage** 96:12  
**draining** 34:16  
**drinking** 91:14  
**drive** 9:2  
**driven** 79:14  
**driving** 58:13  
**drove** 19:15  
**due** 7:1 32:9 52:14  
87:22  
**Dunn** 70:4,6,9,18,19  
**DuPont** 78:12  
**duration** 16:9  
**duty** 38:9,15,20,21  
40:15  
**dyke** 18:16 19:18 28:7  
34:1  
**dykes** 33:21,21

## E

**E** 2:1 3:1,1  
**earlier** 3:12,21 7:20  
10:8 25:1 33:10 57:5  
64:6 69:22 71:3 77:11  
86:13 99:13  
**early** 84:21 99:15  
**easy** 73:4  
**Economics** 14:14 16:3  
**edge** 19:9  
**edition** 57:14 66:3 86:1  
86:6,9,11,19 87:22  
**editions** 57:14 65:14  
**edits** 101:22  
**eerily** 6:12  
**effect** 38:19  
**effectively** 43:11  
**effort** 76:14  
**efforts** 10:17  
**Ehrlich** 4:12 11:1  
**Ehrlich's** 71:3  
**eight** 20:12  
**eight-hour** 14:4  
**either** 4:7,8 28:9  
**Electric** 13:19  
**electrical** 19:20 28:10  
62:12  
**electromagnetic** 32:13  
**electronic** 18:2  
**electronically** 53:16

**Electrotechnical** 51:22  
**element** 80:6  
**elements** 46:9,11 67:22  
90:1  
**elevated** 19:15  
**elevating** 76:3  
**elevators** 4:8  
**elicited** 20:20  
**Elliston** 80:21,22 81:3  
**email** 82:22  
**emergency** 3:19,22  
11:11 20:20 22:2,6  
26:10 80:2 88:20 89:6  
90:21  
**emissions** 9:12  
**emphasis** 57:8 68:3  
**emphasized** 26:3  
**emphasizing** 93:8  
**employed** 12:20 55:16  
**employee** 8:12,14  
29:14  
**employees** 12:20 20:9  
36:5 83:14  
**employer** 45:21  
**employing** 42:6,14,21  
**enact** 56:19  
**encompasses** 12:14  
**endangering** 45:2  
**ended** 68:2  
**ends** 20:16  
**energetically** 100:1  
**enforce** 71:21  
**enforcement** 26:14  
72:4,14 74:1,2 79:16  
80:1 90:20 92:3  
**engaged** 75:17  
**engineer** 51:18 88:18  
92:18,19  
**engineered** 51:17 53:17  
**engineering** 40:2 42:7  
42:15,18,21 44:22  
46:4,5 51:16 52:7  
87:11 92:20  
**England** 6:14 24:6  
**Engler** 1:11 2:2 3:7 8:6  
8:8 55:11,15,22 56:8  
59:3 60:4 61:3,4  
68:10 70:16 80:17  
**engulfed** 13:7 20:6  
28:12 64:11  
**enhanced** 73:14  
**ensure** 15:2 50:20  
51:13 52:5 64:16  
**entering** 19:13  
**entire** 22:22 28:12  
**entities** 43:12 45:8  
**environment** 50:11  
61:1

**environmental** 20:19  
23:7 31:4 38:10 60:17  
72:18 83:10 88:19  
**environments** 51:2  
91:16  
**EPA** 9:17 23:13,13,17  
23:19 35:7 38:5 39:13  
39:14,18 40:11,14  
42:5,16,20 43:9,15  
50:2,7,17 51:8 52:9  
52:17 56:15 91:4,5  
94:15 96:1  
**EPA's** 10:2 29:20 33:13  
50:4 52:19 89:6,18  
90:7,20 91:9 92:4  
**EPCRA** 9:11  
**equated** 25:4  
**equip** 51:9  
**equipment** 19:20 27:12  
28:10 31:16 33:14  
49:12,12 53:8 57:9,12  
65:18 92:12  
**equipped** 15:4,11 37:11  
**equipping** 49:11  
**equivalent** 18:19  
**erratic** 59:11  
**errors** 27:10  
**escaped** 20:9  
**essential** 90:1  
**essentially** 36:2  
**established** 41:17  
81:19  
**esteemed** 11:1  
**estimated** 18:12 23:14  
**et** 67:19  
**evacuate** 22:14,15,17  
22:21  
**evacuation** 4:5  
**evaluate** 43:14  
**evaluating** 45:18  
**evaluation** 89:18  
**eventually** 9:15  
**exact** 50:2  
**exactly** 65:3,7 66:19  
70:12  
**example** 9:7 34:3 58:7  
62:9 79:9  
**excellent** 75:16  
**excess** 48:9  
**excessive** 32:5 60:15  
73:17 80:9  
**excuse** 67:8  
**Executive** 60:8  
**exempt** 40:22 41:1  
**existence** 51:1 53:18  
**existing** 54:11 73:7  
75:2  
**exists** 38:16

**expand** 65:2 71:21  
**expanding** 76:18,19  
**expect** 97:14  
**expecting** 73:21  
**expense** 60:16  
**experience** 67:16 69:14  
69:19 83:11 95:19  
**experienced** 21:9,15  
23:2  
**expert** 10:12 83:8 95:18  
95:19  
**experts** 86:20 87:7  
**explain** 30:9 39:3  
**explode** 13:6  
**exploded** 26:22  
**exploding** 27:13  
**explosion** 3:14 5:22 6:8  
11:9 20:2,11,17 21:16  
22:13 24:18 27:7,17  
28:11 40:13 61:11  
62:2 83:9 96:16  
**explosions** 6:15 50:12  
63:3  
**extant** 82:10  
**extensive** 5:13 46:22  
**extent** 51:5 74:5,10  
**extra** 85:7  
**extreme** 72:8,13  
**extremely** 72:21 79:20

## F

**F** 89:21 93:15 94:1  
**face** 10:4 58:4  
**facilities** 9:22 25:9,9  
26:2,14 28:17 30:8  
38:17,17 39:16 40:3  
40:11 41:7,12 43:7,10  
43:17 44:3,17 46:21  
47:4,10 49:9 50:13,21  
53:1 54:12 59:10  
67:12 74:6,14 91:10  
91:11 92:1,15 93:9  
**facility** 9:6 11:6,10,20  
12:5,6,7,9,14,20  
13:21 15:9 17:6 21:22  
23:17 25:11 26:11  
27:15 29:6 31:16  
33:22 34:6 35:11 38:1  
39:11 41:14,22 42:16  
42:22 43:4,17,18 45:2  
51:3 55:15 59:22  
72:17 74:1 80:7 84:1  
84:22 85:9 90:9,16  
92:20 93:16 96:4,6,13  
**facility's** 20:6  
**fact** 27:17 73:12 76:20  
82:1 85:7 93:17  
**factors** 29:12 31:3,3,4

34:22 36:12 46:3,4  
51:1 57:7 59:18 91:13  
**facts** 83:20  
**failed** 56:6 58:1 64:18  
**failsafe** 42:17,21  
**failure** 31:17 32:2 33:19  
63:4  
**failures** 30:11 72:6  
93:12,21  
**falling** 48:4  
**familiar** 65:4  
**far** 20:12 27:13 65:22  
**farm** 8:20 12:8,18 13:11  
13:14 14:1,2 16:5  
19:2,8,14 20:9,22  
21:5 22:9 28:18 32:10  
33:15 35:1,3,4,8,12  
46:11 59:20 96:20,21  
**farms** 8:22 9:4,16 10:1  
47:16 59:9 83:8 95:18  
96:2  
**fast** 41:18 42:11  
**fatalities** 6:7 20:10 25:2  
28:15,16 58:17  
**fatality** 27:2  
**fault** 32:16  
**federal** 9:15 22:3,6  
**fee** 16:8,11  
**feedback** 4:21 55:9  
**feel** 47:12 76:17  
**feet** 19:11 27:13  
**FEMA** 22:7  
**fence** 21:5  
**field** 10:12  
**fifth** 87:21  
**figure** 66:19 79:22  
**fill** 15:15 16:9 31:21  
32:20 48:9  
**filled** 16:6 17:18 37:5  
84:5,8,13  
**filling** 16:6,10,15 24:13  
24:15 27:5 33:9 34:15  
36:1,6,10 100:10  
**final** 5:1,1 7:17 10:14  
100:12 101:22  
**finally** 11:14  
**find** 7:5 9:10,11  
**finding** 30:4  
**findings** 4:16 11:3,13  
38:8 59:5 71:15 76:15  
81:8 89:13 93:7 97:19  
98:3,6 100:5  
**fined** 23:17  
**finish** 10:16 78:2  
**fire** 5:21 11:16 19:22  
22:9,13 27:8 28:13,13  
47:19,21,22 48:7,16  
48:18 54:2 61:12 63:5

63:16 64:12 83:9  
**fireball** 28:12  
**firefighters** 22:4  
**fires** 3:15 11:12 13:7  
20:14,18 21:16 24:20  
25:5 27:7 50:12 63:3  
**first** 3:17 12:3 41:4 50:1  
50:4 57:5 69:16 81:10  
83:19 84:4 95:21  
**fish** 91:15  
**fit** 66:13  
**five** 12:22 17:18 21:5  
58:17 61:21 73:8 78:1  
**flames** 5:22 20:7,11  
**flammability** 50:16  
53:12  
**flammable** 39:2,3 40:4  
40:5,6,12,16,19 44:1  
44:9,11,14,17 47:6  
48:4 49:1 50:15 52:12  
52:12 53:3,11  
**flammables** 39:16  
**flash** 19:22  
**flashlights** 35:4  
**float** 15:5,22 17:22 32:1  
33:3 37:16 42:22  
**floor** 68:16  
**flow** 19:7 41:16 48:11  
53:8 85:8  
**flowed** 19:17  
**focus** 71:19  
**focused** 76:18  
**fog** 19:10  
**follow** 51:15 63:8 68:8  
**follow-up** 95:9  
**followed** 57:19  
**following** 11:22 40:13  
49:21 50:18 51:1  
86:22 92:20  
**footprint** 9:1  
**forcing** 23:19  
**form** 61:21  
**formation** 7:7  
**forming** 6:5 13:5 18:15  
**Fort** 21:3,14  
**forth** 90:5 92:13 99:14  
**fortunately** 20:8 24:22  
29:18  
**forward** 8:3 10:5 69:10  
88:10  
**found** 6:20,21 7:20  
29:20 30:6,17 31:14  
32:16,21 33:11,13,21  
34:12,22 35:7,10  
36:21 37:6 38:21 39:5  
43:6,8,15 44:8 47:14  
49:18 56:16 59:15  
60:6 71:8

**foundation** 76:16  
**four** 17:10 25:5 27:22  
**four-hour** 94:5,7  
**four-year** 94:19  
**fourth** 53:2 86:1,6,19  
**frankly** 72:2  
**freight** 58:5  
**frequency** 23:22  
**frequent** 34:8  
**frequently** 32:13  
**FRP** 43:18 50:9 89:5,18  
89:20 90:1 91:1,6,10  
91:11,22 92:15,17  
93:8,14,18 94:7 95:3  
**fuel** 14:6,10 28:6 36:22  
40:9 53:10  
**fueling** 14:5  
**fuels** 50:14  
**full** 17:8 18:13,19 50:5  
50:5 78:11  
**Full-time** 83:8  
**fully** 18:9 64:11 84:9  
85:6  
**fumes** 28:3,4  
**Functional** 51:22  
**fundamentals** 71:19  
**further** 7:15 59:13  
80:15 82:13 84:16  
85:1 100:8  
**future** 57:16

## G

**G** 3:1 100:18  
**gallon** 12:22 27:1  
**gallons** 17:5 18:18  
23:14,15 48:4,12  
91:12  
**gap** 52:14  
**gas** 13:22  
**gasoline** 6:4 13:1,4,13  
13:18,20 14:8 17:5,8  
17:10,15,18,19 18:14  
18:18,22 19:5,7,17  
24:8 25:8,19 26:22  
27:5 28:1 36:18 40:8  
40:20,21,22 48:7 49:9  
50:14 52:11 53:10  
70:6  
**gate** 19:13  
**gather** 41:4 92:11  
**gauge** 14:12 15:7,10,18  
15:19,21,21 18:11  
24:12 31:19 33:4,8  
34:19 35:6 37:17  
49:17 83:21,21  
**gauger** 42:10  
**gauging** 14:17,17 15:8  
15:17 37:15 49:10,12  
51:4 53:17 85:3  
**gear** 32:2  
**general** 1:15 3:9 38:9  
38:15,20,20 40:14  
61:8 62:6 98:5  
**generally** 40:1 51:15  
71:14  
**generate** 86:1 87:21  
**generated** 24:18 86:15  
**gentlemen** 10:22 81:1  
85:21  
**getting** 58:19 64:9 68:3  
**gigantic** 61:20  
**Gioffre** 93:4  
**give** 23:1  
**given** 3:3 22:20 84:1  
97:15  
**glad** 5:18  
**Gladieux** 29:6 74:1  
**glimpse** 23:1  
**go** 3:3,17,22 7:22 9:6,8  
22:20 31:12 38:7 50:3  
61:16 78:4,7 80:20  
84:19,20 92:7 99:8  
100:1  
**goals** 43:14  
**goes** 90:6  
**going** 3:3 4:15 22:16,16  
22:18 50:3 55:7 62:1  
64:13 66:16 69:21  
79:5,18 81:22 86:19  
86:20,21 87:1,7,9,14  
87:20,22 88:8 97:13  
101:20  
**gold** 74:18,19  
**good** 10:21 34:3 40:1  
44:22 51:16 52:6 55:8  
56:14 57:4 60:12 64:3  
64:14 72:5,20 74:20  
75:19 77:18 80:22  
81:1 85:17 92:20  
100:13  
**governing** 25:18  
**government** 6:22 21:17  
28:20 43:8  
**great** 10:13 68:22  
**greater** 30:2  
**grew** 18:22  
**Griffon** 1:12 2:2,7 3:2,5  
10:6,22 24:5 55:4  
61:4 63:8,14 65:1  
66:21 68:11,19 69:2,3  
69:5,21 70:10,14,20  
77:1,8,9,14,17 78:21  
79:3,7 80:4,13,19  
82:15,21 83:3 85:12  
88:14 95:7 97:1,5  
99:6 100:15 101:17

**ground** 19:11 38:14  
67:17,22  
**group** 7:8 55:9 78:9  
**growing** 7:2,2  
**Guardsmen** 22:4  
**guess** 61:14 68:11,16  
76:1  
**guidance** 38:22 44:15  
47:9,13 52:17,18  
54:14 65:4 93:2,4,6  
**Gulf** 12:1 13:22  
**guy** 70:18

---

**H**


---

**Haas** 71:17  
**half** 13:7,17 17:6 21:5  
73:9  
**hallway** 5:6  
**hands** 85:15  
**handwriting** 98:14  
**happen** 64:16 74:16  
78:3 96:21  
**happened** 21:18 57:20  
**happens** 4:4  
**happy** 4:10 55:1,2 75:9  
**harm** 91:13  
**hate** 75:19 80:5  
**hazard** 7:3,4 26:7 28:21  
40:13,18 44:6 45:14  
45:16,22 46:12,15  
89:18  
**hazardous** 25:8 45:11  
45:19  
**hazards** 10:3 38:18  
44:1 45:19 48:15  
52:20  
**health** 31:7 36:9 43:22  
60:8 97:9,11  
**hear** 4:16  
**held** 94:4  
**help** 10:13 74:13  
**helped** 46:13 84:1  
**helpful** 77:12 98:18  
**Hertfordshire** 6:13  
**Hi** 88:17  
**hidden** 29:11  
**high** 26:2,6 29:10,10,10  
42:7 49:11 53:5 83:22  
**high-hazard** 26:14  
**high-integrity** 25:22  
**high-level** 24:14 37:9  
42:18 49:13  
**high-liquid-level** 41:15  
42:8  
**high-reliability** 65:17  
**high-risk** 52:13  
**high-tier** 25:8  
**higher** 50:16 53:12

**highlighted** 51:6  
**highly** 25:8 40:6 45:11  
45:19  
**hinders** 43:10,12  
**history** 34:11 42:4  
91:21  
**hold** 17:8  
**home** 84:20 88:22  
**homes** 6:9 20:13 21:10  
21:12  
**honestly** 76:9  
**hope** 5:3 71:5 79:21  
100:11  
**hoping** 55:8 78:2  
**Horowitz** 1:15 10:10  
68:17 99:10  
**hospitals** 90:4  
**hotmail.com** 82:22  
**hour** 18:6 81:21  
**hourly** 14:13 19:3 32:18  
**hours** 17:12 27:16,18  
**housekeeping** 3:18  
**Houston** 78:13  
**Howard** 88:21 89:4 93:3  
94:5 95:22  
**HSE** 60:7  
**huge** 5:22 6:5 56:4  
**human** 29:12 31:2,3,5  
34:22 36:12 57:7  
59:18  
**hundred** 83:14  
**Huntington** 29:5

---

**I**


---

**ICC** 48:6  
**identified** 26:16 29:4  
34:21 36:13,16 46:14  
46:15 52:15  
**identify** 19:16 38:18  
48:14 70:16 80:17  
**identifying** 30:7 45:18  
**IEC** 53:18 66:6,7 87:13  
**ignite** 36:20  
**ignited** 6:6 13:6 19:20  
24:10 28:9  
**ignition** 11:12 62:9  
**ignitions** 62:12  
**ignored** 72:22  
**ILTA** 69:8,15,22 70:19  
86:18  
**ILTA's** 71:1 73:13  
**imagine** 23:4 58:13  
92:6 94:17  
**immediate** 97:18  
**impact** 8:20 11:9 20:19  
23:7 26:9 56:9 90:8  
91:15 94:12  
**impacts** 50:11 54:16  
65:8 90:4  
**implement** 8:2 45:9  
58:6 91:6  
**implementation** 90:22  
**implemented** 57:1  
**implementing** 42:17  
65:5  
**implying** 71:10  
**importance** 76:3 93:9  
94:13,22  
**important** 5:19 8:17  
36:16 58:20 62:19  
72:16 73:2 79:17,20  
92:3 94:1 99:3  
**importantly** 37:6  
**imposed** 82:2,3  
**improve** 76:17  
**improvements** 8:21  
**improving** 29:2  
**inaccurate** 32:3  
**inadequate** 27:4 37:22  
71:5 72:10  
**inaudible** 52:16  
**incentivizing** 8:20  
**incident** 1:16 3:15 6:12  
6:13,14,17,21 7:6,10  
7:11 11:7,8 12:9 13:9  
16:22 22:1,10 23:6,16  
24:4,17 25:1,16 26:5  
26:16,19 27:9,19,21  
28:14 29:4,7,17,18,19  
30:10 31:18 33:3 37:8  
42:20 55:17 56:9,10  
56:20 60:9 61:9,18  
63:7 67:6,9 68:7  
76:12 81:6 82:7 94:14  
**incidents** 23:21 26:16  
34:15 56:19 57:19  
62:10 63:22 66:17  
71:22 79:13 98:12  
**include** 8:11 20:22  
30:22 40:5 41:14  
44:21 91:13  
**included** 12:16  
**includes** 25:14 87:11  
89:18,21 90:2,3,15  
91:10 95:19  
**including** 46:6 47:4,16  
64:15  
**incorporate** 50:18  
65:13  
**incorporated** 48:19  
**increase** 10:2  
**increased** 7:1  
**incredibly** 22:22 56:13  
**independent** 24:14  
25:21 28:21 37:11,13  
37:14,17,18 38:2 42:3

49:11,13 51:12 53:8  
56:3  
**India** 27:20  
**Indian** 27:20 28:4,15,20  
**Indiana** 29:5  
**indicating** 33:22  
**indict** 71:9  
**individual** 31:5 96:11  
**individual's** 73:16  
**individuals** 66:13  
**industrial** 7:4,4 22:9  
**industry** 7:8,12,22 8:1  
40:13 47:11,15 52:2  
61:8 62:17 70:3 71:9  
76:3,17 83:7 87:3  
100:5,13  
**industry-wide** 63:10  
**ineffective** 56:2  
**influence** 31:6 75:11  
**influenced** 78:17 97:20  
**information** 9:9,14 33:7  
43:9 78:19 80:1 92:11  
98:15  
**informing** 79:17  
**initial** 22:13 45:22  
91:22  
**initially** 40:11  
**injured** 25:3  
**injuries** 27:3  
**inmates** 21:20  
**inside** 14:18,20 15:6  
18:1 73:5  
**inspected** 52:4  
**inspection** 8:12 33:13  
35:7 43:13 90:19 91:9  
91:19,21 92:3,4  
**inspections** 33:17  
91:10,22 92:10  
**inspector** 14:22  
**install** 48:10  
**installation** 21:2,14  
54:10  
**installing** 53:5  
**instance** 97:18  
**Institute** 54:9 85:20  
94:3  
**Institute's** 46:19  
**instituted** 56:22  
**instruct** 36:5  
**instrumentation** 46:7  
65:16  
**instrumentations** 29:2  
**instrumented** 25:22  
52:1  
**insufficient** 33:19 35:8  
**intake** 91:15  
**integration** 26:6  
**integrity** 8:12 26:6

51:20 53:6  
**intend** 93:5  
**intensity** 51:3 53:19  
**interested** 73:22 101:2  
**interesting** 7:5,15 67:7  
 68:6  
**interference** 32:13  
**international** 47:18,19  
 47:21,22 48:7 51:21  
 53:22 54:2 56:18 69:7  
**internet** 5:17  
**intervals** 49:10,17  
**interviews** 99:1  
**intrinsically-safe** 28:10  
**introduced** 7:19 10:8  
**Introductory** 2:2  
**Inventory** 9:12 29:21  
**investigation** 5:20 6:16  
 11:4 38:13 59:16  
 62:22 74:4 78:20  
 96:17  
**investigations** 6:20  
 98:10  
**investigative** 11:3,13  
 30:17 34:21 49:20  
 74:6 101:16  
**investigator** 1:16 7:18  
**investment** 33:14  
**involved** 6:14 9:21 22:3  
 80:2 85:21  
**involvement** 98:20  
**involving** 8:10 24:21  
 26:17 45:19 57:9  
**island** 11:19 14:9 83:15  
**issuance** 5:1  
**issue** 52:17,18 64:5  
 72:9 98:16  
**issued** 28:20 36:9  
 52:19  
**issues** 57:17 60:11,17  
 76:7 99:15,16  
**issuing** 49:4 97:18

---

**J**


---

**Jaipur** 27:20  
**James** 30:12  
**January** 26:18 41:5  
 69:16  
**Jersey** 9:3,7 26:21  
**jet** 50:14 53:10  
**job** 31:4 64:14 69:15,16  
**joined** 7:14 69:22  
**joining** 3:12  
**Juan** 3:16 6:2 11:18  
**judge** 64:8  
**jump** 79:6  
**June** 1:7 81:11,12  
**jurisdictions** 48:20

---

**K**


---

**keep** 78:22  
**keeping** 98:14  
**keeps** 70:2  
**key** 64:10 76:12  
**kind** 60:18 62:5 65:19  
 66:17 71:9 76:2 93:13  
 97:12  
**kinds** 66:16 79:13 94:9  
**Kingdom** 24:11 25:6,17  
**knew** 59:20  
**know** 9:4,9 56:1,16,21  
 58:10 62:21 63:11,15  
 64:7 67:13 68:8,13  
 69:13,14 74:22 75:1  
 77:15,17,20,21 80:7  
 84:7 85:22 86:14,17  
 87:2,5,13,18 88:10  
 89:4 94:18 97:11,14  
 97:15,16,19 98:2,3,4  
 98:5,6,10,11,13,17,20  
 98:22 99:2  
**known** 72:18  
**knows** 89:4  
**Kugelman** 78:8,9 79:2  
 79:5,8

---

**L**


---

**lack** 30:14 31:1,8 33:14  
 36:21 47:15 83:20  
**lacked** 43:16  
**lacking** 36:10 96:13  
**lacks** 38:21,22 43:6,9  
**ladies** 10:21 80:22  
**land** 26:12  
**language** 49:7  
**large** 6:4 8:10 9:1 13:5  
 17:7 20:20 28:2,8  
 30:17 66:5 96:3  
**largely** 74:19,21  
**lasted** 13:7  
**law** 48:22  
**layer** 31:10 37:7 42:1  
 49:8 54:5 56:3 99:14  
**layers** 30:14 31:9 37:21  
**lead** 7:18 74:18 89:5,6  
**Leadership** 7:8  
**leading** 27:16  
**leak** 19:16 28:2 34:1  
**leaked** 6:9  
**leaking** 33:17,18  
**learn** 24:3 56:18 76:13  
 99:14  
**learned** 56:22 61:19  
 62:16,22 73:18  
**learning** 62:18  
**leave** 74:21 96:14  
**led** 24:20 38:3

**left** 3:7 29:8 83:15  
**lesson** 62:5 73:18  
**lessons** 61:19 62:16  
**let's** 72:3 86:4,6 87:19  
**level** 18:1,3,6,10 27:5  
 27:16 29:10 31:1,15  
 34:4 37:12,13,22 38:2  
 41:17,21 42:8 48:13  
 51:12 53:7 83:22  
 93:20  
**levels** 14:11,18,20 15:1  
 15:6,10,12,14,20 16:1  
 26:6 27:18 30:20  
 31:20 35:5 37:10,19  
 41:20 42:13 49:11  
 51:20 56:7 59:6 64:19  
 93:18  
**lighting** 8:13 35:1,3,8  
**lightning** 32:7,14  
**likelihood** 9:19  
**limitations** 43:20  
**limited** 44:19 47:9  
**limiting** 96:18  
**line** 10:16 21:6 28:2  
 37:4,5 88:21 100:19  
**lines** 33:18 61:6  
**lining** 9:5  
**liquid** 12:17 14:18,20  
 15:5,12 16:1 18:1,3  
 18:16 27:16 31:20  
 35:5 37:19 39:2 41:16  
 41:19 48:8 52:21 69:7  
**liquids** 39:3 40:4,5,6,7  
 40:10,12,16,19 44:2  
 44:11,14,18 47:6 48:4  
 49:2 50:15 52:12 53:4  
 53:11  
**list** 9:8 39:5 41:1 49:15  
 68:14,18 78:6 80:20  
 90:15  
**listed** 39:16  
**listen** 4:17  
**listening** 86:17,18  
**literature** 8:19  
**little** 65:3,10 76:4 78:10  
 86:22  
**live** 3:3  
**lives** 45:3  
**living** 38:16  
**loaded** 13:20  
**loading** 12:18  
**local** 22:3,15 48:20 80:1  
**located** 11:17 12:16,19  
 13:3 21:4 30:1  
**location** 13:16  
**locations** 14:9 52:14  
**lock** 33:20  
**Loeb** 1:15 3:8

**logic** 53:7  
**long** 54:22 100:6  
**longer** 16:12 35:13 98:4  
 100:10  
**look** 8:3 10:4 55:5  
 60:21 65:8,9 71:22  
 74:4 86:19 87:3,16  
 88:8,10 92:19 93:17  
 94:20  
**looked** 82:13  
**looking** 67:21 69:10  
 92:6,13 93:11  
**looks** 8:15 86:11 90:7  
**loss** 24:19 53:13 83:10  
**lost** 65:19  
**lot** 9:3 62:16 72:6 76:12  
 87:12 99:18 100:2  
**low** 23:22 63:21

---

**M**


---

**M** 82:19 83:4  
**Magazine** 100:4  
**magnitude** 30:9 63:6  
**main** 92:21  
**maintain** 51:19  
**maintained** 31:1 51:18  
 67:19  
**maintaining** 53:5  
**maintenance** 31:2 32:9  
 33:12 34:3,4 72:8  
**major** 7:3,3,4 26:4 73:6  
 73:11 75:12 96:17  
**making** 101:20  
**Malaria** 23:10  
**malfunction** 34:19  
**manage** 25:10  
**management** 8:2 14:21  
 25:10,12 30:18,19  
 35:14 39:6,13,14,18  
 39:22 45:6,10,14 57:8  
 57:10,11 58:21 60:19  
 60:20 64:15 80:9  
 88:20 89:6 90:21 94:4  
 100:22  
**Manager** 85:18  
**managers** 8:21 81:5  
**managing** 1:15 10:10  
 25:13  
**mandate** 90:7  
**manners** 84:2  
**Manny** 71:2  
**mantra** 92:21  
**manual** 15:18 16:16  
**manual-level** 27:14  
**manually** 14:7,19,22  
 16:18 18:5 32:19  
**map** 20:21  
**Mark** 1:12 3:5 82:18,20

88:21 89:4 93:3 94:5  
95:22  
**marketing** 29:6 47:4  
**Mashieri** 97:7,8  
**massive** 5:21 20:2  
**material** 34:16  
**materials** 8:12 44:9  
**matter** 8:16 96:16  
**maximum** 18:8 21:20  
81:19,20 82:1  
**mean** 39:4 59:7 61:22  
73:8  
**means** 9:17 53:7,8  
86:21  
**measure** 15:1 37:9 74:2  
**measured** 14:19 15:5  
33:9  
**measurements** 18:3  
**measures** 15:20  
**measuring** 17:22  
**mechanical** 17:21  
**mechanism** 32:2  
**medium** 93:18  
**meet** 53:18 91:12  
**meeting** 1:5 3:4,11 4:11  
73:13 77:13 78:17  
101:19 102:4  
**meetings** 56:15  
**member** 1:11,12 2:2,2,7  
3:2,6,8 4:13 8:6,8  
10:6,22,22 24:5 55:4  
55:15,22 56:8 59:3  
60:4 61:3,4 63:8,14  
65:1 66:21 68:10,11  
68:19 69:3,5 70:10,14  
70:16,20 71:2 77:1,9  
77:14,17 78:21 79:3,7  
80:4,13,17,19 82:15  
82:21 83:3 85:12  
88:14 95:7 97:1,5  
99:6 100:15 101:17  
**members** 1:10 2:5 4:14  
71:1 75:12 81:1 86:18  
88:11  
**membership** 75:12  
**men's** 4:7  
**mention** 84:4 91:20  
95:21  
**mentioned** 22:1 24:6  
42:9 64:6  
**mentioning** 84:11 85:5  
**merge** 84:21  
**Mesavage** 83:6,7 95:17  
95:17  
**message** 58:19  
**met** 19:8  
**meteor** 63:20 64:1  
**methodology** 46:3

**methods** 46:6  
**mic** 80:16  
**microphone** 68:17  
**middle** 21:19,21 22:11  
**midnight** 18:14 19:2  
**midst** 10:4  
**migrate** 36:19  
**migrated** 28:6  
**migration** 33:22  
**mile** 30:1  
**miles** 11:18 12:19 13:17  
17:6 20:12 21:5  
**million** 12:22 17:4  
21:15 22:7 23:15,18  
27:1 91:12  
**mind** 77:11  
**mine** 74:18,19  
**mineral** 40:9  
**minimal** 90:1  
**minimize** 38:18  
**minimum** 47:2 50:17  
64:9 82:2  
**minor** 83:18  
**minute** 48:12  
**minutes** 20:5 28:3  
29:15 61:21  
**misapplied** 58:9  
**misses** 76:19  
**missteps** 73:2  
**misunderstanding**  
64:20  
**mitigation** 26:9  
**mixtures** 53:10  
**model** 7:12,15 30:13  
66:4  
**monitor** 24:13 35:4  
**monitored** 17:15  
**monitoring** 27:4,16  
29:12 31:15 32:6 38:1  
46:7 51:5  
**moreso** 69:18  
**morning** 3:19 9:11  
14:12 25:1 67:1 71:18  
97:12  
**motion** 101:20  
**mounted** 15:7  
**moving** 26:1 90:18 93:1  
**multi-pronged** 94:16  
**multiple** 3:15 6:15  
11:12 16:19 20:18  
30:14 37:1 42:2 55:16  
57:6 63:2,3 72:11,11  
72:12  
**municipalities** 22:8  
**Myers** 1:19 10:11 57:3  
57:4 60:5 61:15,17  
63:12,15 65:11,22  
85:22 89:16

---

**N**


---

**N** 2:1,1 3:1  
**name** 3:5 68:21 69:6  
78:8 81:3 82:18,19  
83:6 85:18 88:17  
95:15 97:7  
**NARRATOR** 17:2  
**National** 22:4 27:8  
48:16 86:22 88:9 89:5  
89:5 94:3  
**nature** 16:16 51:3 53:19  
**navigable** 41:9  
**navigating** 10:13  
**near** 3:15 6:2 7:3 11:10  
38:17  
**nearby** 6:9 20:13 22:14  
23:2,7,10 25:3 28:17  
51:2 53:19  
**nearly** 18:18  
**necessarily** 57:20  
63:11  
**necessary** 16:14 24:2  
50:8  
**need** 4:9 66:10 71:19  
71:20,21 76:13 93:20  
**needed** 32:14 96:12  
**needs** 72:16 96:16  
**negotiated** 16:8,12  
**neighborhoods** 9:18  
**neighboring** 20:22  
**never** 63:2  
**new** 9:3,7 26:20 54:11  
70:18 86:11  
**Newark** 26:20  
**newer** 44:21  
**newly** 3:12  
**NFP** 50:15  
**NFPA** 39:2 40:3 44:14  
44:21 49:3,4,6,7  
52:11,12 53:12 54:7  
**night** 18:7,21 21:19,21  
22:11 23:2 31:17  
59:11 70:2  
**non** 28:9 72:12 75:6  
**non-compliant** 75:6  
**noon** 17:17  
**normal** 13:10,12 14:3  
74:10 81:18 85:2 96:4  
**normally** 85:10 87:3  
**northern** 11:19  
**not-so-great** 64:4  
**notable** 6:19  
**note** 4:11 5:5 81:13  
**noted** 67:8  
**notice** 87:20  
**noticed** 19:4  
**November** 69:15  
**NPDES** 91:3

**number** 30:8,11,18  
34:22 41:6 92:8  
**numbers** 59:14  
**numerous** 56:15 57:1

---

**O**


---

**O** 2:1 3:1  
**observe** 35:2  
**observed** 19:10 27:12  
**observers** 100:18  
**obtain** 14:18  
**obtained** 15:14 62:21  
**obvious** 9:2  
**obviously** 8:22  
**Occupational** 36:8  
43:21  
**occupy** 9:1  
**occur** 23:22 24:2 40:19  
50:13  
**occurred** 6:3 14:17  
16:20 22:11 24:5 25:1  
26:17,19 27:19 29:16  
34:15 35:18 59:14  
62:11 63:7 64:1 73:19  
**occurs** 40:18  
**October** 5:21 12:21  
16:21 17:2,17 27:22  
**odor** 19:5  
**offenders** 98:9  
**offer** 77:2  
**offers** 44:15  
**Office** 43:8 88:19 89:6  
90:21  
**offloaded** 15:3  
**Offloading** 37:1  
**offsite** 9:14 23:14 26:9  
54:16 65:8  
**offsite-contracted**  
29:14  
**oftentimes** 9:20  
**Oh** 68:19 79:2 82:21  
99:8  
**oil** 12:1,3 23:15 26:20  
27:20 28:4,15 33:21  
33:22 40:9 41:4,8  
88:20  
**okay** 3:2 4:20 59:3 78:4  
79:5 80:16 83:3 85:17  
101:17  
**old** 65:15 78:1  
**OMB** 92:8  
**onboard** 81:14  
**once** 18:6 63:19 91:17  
**ongoing** 99:19  
**online** 55:9 80:14 95:13  
100:18 101:9  
**onsite** 54:15  
**onus** 66:18

**open** 19:18 28:7 34:18  
36:15,18 37:2 55:7  
68:12,15,15 82:9 84:9  
87:2 96:15  
**opened** 14:7 18:9 85:6  
**opening** 8:7 24:6  
**opens** 101:1  
**operability** 28:22  
**operate** 51:18 71:10  
73:5 74:7  
**operated** 12:4 14:4  
51:18 53:17  
**operating** 8:14 11:20  
35:10,15 36:5 71:4,7  
80:10  
**operation** 9:21 17:11  
52:6 60:12 92:13  
**operations** 13:10,12  
14:3,5,6,10,11,13,19  
14:21 15:2,13,14 16:5  
16:7,10,12,16,17  
17:13 24:13,16 25:11  
27:6 29:1 33:6,7,9  
34:6 36:1,7,11,22  
46:17 47:16 51:3  
53:20 54:17,20 59:21  
81:18  
**operator** 14:3 15:19  
17:14 18:10 19:2,6,8  
19:8,12,15 29:17 37:2  
51:5 60:10,10 73:3  
84:20  
**operators** 14:2,6 16:13  
16:18 17:19 18:5,8  
24:13 27:22 31:22  
32:16,19 35:4 37:2  
56:7 59:20 60:1,2  
**opinion** 78:14  
**opportunity** 67:2 89:2  
89:17 91:8 92:2,11  
94:9 95:4  
**opposed** 61:11 67:22  
80:10  
**options** 42:1 49:10  
90:16  
**order** 16:20 22:6 57:11  
80:10  
**orderly** 45:17  
**organization** 30:21  
48:17 61:2 68:22  
**organizational** 25:14  
31:4  
**organizations** 26:2  
**original** 86:15  
**originally** 84:11  
**OSHA** 38:5 43:21 44:13  
44:20 45:1 49:1,5  
53:2,3,15 98:10

**OSHA's** 44:1,10 45:6  
50:5  
**outages** 32:7 34:8  
**outcome** 7:6  
**outlier** 64:8 74:11  
**outlier-type** 64:7  
**outliers** 75:5,9  
**outline** 36:2 89:22  
**outlined** 35:21  
**outlines** 36:4  
**outreach** 94:3,21  
**outside** 61:2 62:11  
**Overall** 37:20  
**overcame** 28:4  
**overflow** 8:16 25:21  
30:15 31:11 35:2 37:8  
38:2,3 41:11,12 42:2  
42:16 44:16,20 45:4  
46:19 47:2,7,16,22  
48:1,2,13 49:8 51:10  
51:14,19 52:5,22 53:6  
54:1,3,10,16 55:16  
58:7 62:1 63:5 78:18  
90:13 92:12 93:10  
94:10 95:1  
**overflowed** 13:1 24:9,16  
**overflowing** 24:12 70:21  
**overfills** 26:17 34:12,13  
52:22 70:8,9,13  
**overflow** 6:14 18:14  
20:5 27:6 29:7,15,16  
61:12  
**overflowed** 6:4 27:2  
**overflowing** 13:4 27:14  
**overhauls** 73:6  
**overlay** 75:20  
**overwhelmed** 63:6  
**owned** 13:22  
**owner** 83:13  
**owner/user** 66:19  
**owners** 8:20 60:22  
**Ownership** 11:21

---

**P**

---

**P** 3:1  
**p.m** 18:7  
**page** 81:16 82:6  
**panel** 10:9 55:12  
**paper** 67:15 68:5  
**Parasram** 1:16 2:4 7:19  
10:14,21 20:17 23:4  
55:21 56:13 59:17  
61:16 62:20 65:21  
69:9 99:22  
**parentheses** 86:5  
**part** 3:11 11:19 66:5,18  
89:12,19,21 90:7,13  
98:20 100:10

**PARTICIPANT** 68:18  
77:8,10,15 80:5 82:20  
101:14  
**participants** 95:13  
**participate** 88:13  
**participated** 60:7 93:5  
**participation** 8:14  
88:11 98:21  
**particular** 8:15 59:15  
81:15 89:14  
**particularly** 93:19  
**partner** 60:11  
**parts** 34:7,8 40:21  
**Pathfinder** 78:9  
**patience** 55:1  
**Patty** 93:4  
**Paul** 78:8  
**PEMY** 1:19  
**penalty** 78:16  
**Pennsylvania** 4:2,3  
**pentene** 40:5  
**people** 21:7 22:12,19  
25:2 49:17 59:10 61:2  
62:17 64:9 80:2 82:3  
83:7 85:14,14 87:6  
95:22  
**people's** 78:17  
**percent** 48:9 58:15 92:1  
**perception** 73:16  
**perfect** 76:15  
**perform** 19:3 36:6  
45:22  
**performance** 72:19  
**performance-based**  
45:7  
**period** 33:16 55:6  
**periodic** 35:15 45:13  
**periodically** 46:2  
**persisted** 28:14  
**person** 10:15  
**personally** 76:2  
**pertinent** 38:13  
**Peter** 69:6 89:3,4 90:20  
**petition** 40:14  
**Petrochemical** 7:7  
**petroleum** 1:3 2:3 3:14  
6:1,9 8:10 9:5 11:4,6  
11:10,16 12:5,10,12  
16:7 17:3 29:3 38:6  
38:14 39:2 44:3 46:19  
46:20 47:3 54:8 63:1  
85:19  
**PHA** 46:3,10,12  
**PhD** 1:15  
**phenomenon** 63:9,10  
**Phil** 1:19 10:11 57:2  
85:22 86:18 87:7  
89:16

**phonetic** 71:17,18  
82:18 97:8  
**photo** 13:15  
**physically** 15:19 51:11  
53:16  
**picture** 66:2  
**piece** 72:16  
**Pilko** 78:12  
**pipeline** 34:17  
**pipelines** 47:5 83:9  
95:18  
**pipes** 34:20  
**place** 22:21 56:2 62:4  
62:10 67:18 68:5 74:1  
84:2 101:12  
**plan** 10:20 39:10,12,18  
41:7 43:18 67:18 68:1  
89:20 92:17,17,17  
93:11 98:2,5  
**planned** 17:9  
**planning** 14:14 16:3  
26:9,12 61:14 63:4  
93:17  
**plans** 68:6 92:14  
**plant** 92:21  
**plants** 45:9 47:5 83:12  
**played** 23:3  
**please** 80:18 95:15  
101:10  
**pleased** 69:11 81:13  
**plumes** 5:22  
**point** 4:1 19:15 57:21  
68:12 70:1 75:9 76:12  
76:20 79:8 81:16  
86:10,18 87:14 88:7  
89:17 90:11 91:9 92:2  
92:9,22 100:7 102:3  
**pointed** 90:14  
**police** 22:16  
**policies** 25:15  
**policy** 90:22  
**pollution** 83:10  
**pool** 18:16  
**pooled** 19:17  
**pooling** 28:6  
**poor** 33:11 34:3 35:1  
72:8,18 84:1  
**poorly** 30:22  
**population** 90:10  
**populations** 7:2,3 51:2  
53:19 90:4 94:13  
**pose** 40:12 97:14  
**posed** 56:14  
**position** 34:19 36:18  
**possibility** 99:13  
**possible** 55:20 77:20  
**post** 87:5  
**potential** 7:1 8:9 9:21

54:16 61:12 90:8,16  
93:12,21  
**potentially** 10:4  
**Power** 13:19  
**PPSLG** 7:8  
**practice** 6:19 14:21  
40:2 52:7 63:17 64:10  
74:16 75:18 92:20  
**practices** 44:22 47:2  
51:16 56:12 57:18  
58:3 64:3 65:14 71:4  
71:11 98:13  
**pre** 63:3  
**pre-planned** 63:2  
**premature** 76:7  
**preparedness** 26:10  
**present** 1:10,14,18 11:2  
11:14  
**presentation** 2:3 4:15  
8:3 10:8,19 12:13  
82:11  
**presented** 7:18  
**presenters** 77:3  
**President** 22:7 69:7  
**pressure** 24:19 37:5  
81:19  
**pressures** 60:15  
**pretty** 67:9  
**prevent** 7:10 31:10 35:9  
37:8 38:18 41:8 42:1  
42:18 45:10 46:13  
49:8 50:10  
**preventative** 31:2 33:12  
34:4  
**prevented** 39:7 55:17  
62:15  
**preventing** 7:20 24:3  
38:22 39:8  
**prevention** 25:21 38:3  
39:10 41:3 44:16 45:4  
47:2,7,17 48:1,3 50:8  
50:10 51:10,19 54:1,3  
54:11 58:8 90:14  
92:12 94:10 95:1  
**prevention-oriented**  
8:18  
**previous** 27:16 65:14  
83:13  
**previously** 34:6 41:17  
52:19  
**primary** 4:9 10:15  
**prior** 27:18 61:9 69:12  
98:12  
**priorities** 43:13 90:19  
91:9 92:4  
**priority** 91:19  
**prison** 21:20  
**probabilities** 63:21

**probably** 5:14 62:7  
74:15  
**problem** 30:9 76:20  
79:11 84:22  
**problems** 33:17 70:15  
**procedures** 8:14 25:15  
35:11,16,18 36:1,5,11  
57:10  
**process** 7:7 26:8 35:13  
45:6,13,15,16,22 46:6  
46:12 47:20 48:18  
52:1 66:15 84:12  
87:17 94:19  
**processes** 45:12,19  
46:1 72:10,11,12  
**produce** 97:16  
**produced** 1:21  
**producing** 28:7  
**product** 10:14 15:3  
16:6 29:8,15 33:18  
**production** 60:16  
**products** 9:5 44:3  
**professional** 92:18,19  
97:11  
**program** 9:17 10:2 31:2  
33:12 39:6,13,14,22  
43:11,14 50:10 73:12  
88:20 91:3,7  
**programs** 73:7,7,9 91:1  
91:2  
**promptly** 34:10  
**promulgated** 41:5  
**prone** 31:17 32:1  
**propagated** 62:6  
**proper** 52:6  
**property** 25:4  
**proposing** 49:20  
**protect** 38:16,16 41:12  
53:13  
**protection** 8:16 27:8  
30:14 31:9,10 37:8,21  
38:10 41:11,13 42:1  
44:20 46:20 48:16  
49:8 51:14 52:5 53:6  
54:5 55:16 56:3 83:22  
88:19 93:10 99:15  
**protects** 43:22  
**provide** 11:7 37:18  
41:12 82:4 89:2,10  
**provided** 1:21  
**provides** 47:1  
**providing** 11:5  
**provisions** 50:19  
**proximity** 21:22 46:15  
**psi** 82:2  
**psig** 81:20  
**PSM** 44:5,6 45:13,21  
46:1,9,12 98:20

**PSM-regulated** 72:3  
**public** 1:5 2:6 3:11 4:18  
4:21,22 5:3,5,8,10,12  
8:5 9:2 10:3 38:16,16  
50:11 55:7 61:1 68:12  
78:4,22 79:17 95:11  
**public@csb.gov**  
101:15,17  
**publically** 30:5  
**publication** 54:19  
**published** 57:15 86:7  
86:10 100:3  
**Puerto** 3:16 6:2 11:17  
13:18 21:1,8,17 36:8  
45:1 47:20 64:21  
69:18  
**pump** 29:7 41:16 42:8  
42:10  
**pumped** 13:18  
**pumping** 14:8 27:11  
**purchase** 11:22  
**pursued** 99:21  
**put** 67:17 68:4 72:20  
73:20 87:18  
**putting** 10:13 58:11  
72:5

---

**Q**


---

**quantity** 39:17  
**question** 55:18,22  
56:14,15 57:4,5 59:4  
69:20 77:10,18 78:15  
79:3 95:11 97:21 98:1  
98:8 99:11  
**questioning** 61:6  
**questions** 2:5 55:3,6,12  
55:14 73:19,20 97:22  
**quickly** 61:21  
**quite** 72:15 97:6 99:15  
99:17  
**quorum** 4:12,13 101:19  
**quote** 7:14

---

**R**


---

**R** 3:1  
**R-E-Z-N-I-C-E-K** 100:19  
**raced** 19:22  
**radio** 16:13  
**RAGAGEP** 40:2 51:15  
**raised** 57:18  
**ran** 96:11  
**randomly** 52:10  
**range** 8:9  
**rate** 31:21 48:11 81:20  
82:1 85:1,8  
**rates** 27:11  
**rating** 50:16 53:12  
**reach** 100:7

**reached** 18:8 19:20  
**reaching** 19:4  
**reaction** 93:11,21  
**reactions** 93:12  
**read** 5:15 18:10 35:5  
71:3 74:12 95:13  
98:11  
**reading** 9:15  
**readings** 18:6 32:3  
**ready** 19:3  
**real** 31:22  
**realistic** 51:4  
**really** 10:16 30:3 47:14  
58:4,20 64:2,10 71:12  
72:14,16 73:1,15 74:6  
74:16 76:6,16 95:8  
**reason** 96:19  
**Reason's** 30:12  
**reasonable** 77:21  
**reasons** 65:12 75:22  
**recall** 84:6  
**receive** 47:5 101:16  
**received** 14:13  
**receiving** 31:19  
**recognized** 40:1,11  
51:15  
**recommend** 54:13  
**recommendation** 50:1  
50:4,5 52:9 53:2,21  
54:7 86:4 89:7,15  
90:18 93:1  
**recommendations** 4:16  
4:17 11:15 28:19 49:4  
49:21 50:2 71:8,16  
72:15 73:1 74:13,17  
76:18 86:12,13 88:4  
89:13 93:7 97:19  
99:13  
**recommended** 6:17,18  
**recommends** 47:7  
**record** 5:12,14,15 18:6  
68:22 72:18 77:5  
95:14 101:3,4 102:5  
**recorded** 14:11  
**records** 34:13  
**reduce** 48:11 84:21  
**reduction** 62:19  
**reductions** 59:9  
**redundancy** 64:21  
**redundant** 37:11 42:3  
**refer** 31:3  
**reference** 48:19  
**referenced** 48:21 88:4  
**references** 87:12  
**referred** 9:10 15:8,22  
**referring** 12:11 86:4,9  
**refiner** 83:13  
**refineries** 45:9 47:4

79:19 92:16  
**refinery** 11:21 12:1,4,16  
 35:12,18 83:16 96:6  
 96:10  
**refining** 12:5  
**reflected** 85:2  
**reg** 90:22  
**regard** 14:5 41:2 84:3,7  
 85:4  
**regarding** 79:19  
**regards** 54:8  
**regime** 67:5  
**regions** 91:4,5  
**registering** 20:2  
**regular** 52:4  
**regularly** 41:20 52:4  
**regulate** 43:11  
**regulated** 94:21  
**regulation** 56:11 89:18  
 93:14,15  
**regulations** 76:19  
**regulator** 7:9,13 25:20  
 67:3,8,11 73:4  
**regulators** 68:4  
**regulatory** 6:17 7:22  
 11:13 25:18 26:13  
 38:8 44:10 56:17,18  
 99:16  
**reinforces** 69:19  
**reiterate** 71:2  
**related** 60:11 85:7  
**relating** 78:18  
**relative** 75:10  
**release** 9:12 29:21  
 33:20 38:19 40:18  
 50:10 100:11  
**released** 18:19 23:9  
 63:19  
**releases** 39:1,15 45:11  
 50:12  
**relevant** 54:20  
**reliability** 26:2 51:4  
 58:14  
**reliable** 8:2 67:19  
**reliably** 57:12  
**reliance** 37:7 58:12  
**relieve** 37:5  
**relocate** 21:19  
**relying** 31:9  
**remain** 16:15  
**remaining** 83:14  
**Remarks** 2:2  
**remember** 80:14  
**remove** 52:3  
**rented** 16:7  
**reorganized** 12:7  
**repeat** 98:8  
**repeatedly** 70:22 75:6

**replace** 32:15  
**replaced** 34:10  
**replacing** 32:14  
**report** 2:3 4:16,19 5:1  
 7:13,17 8:4,15 10:5  
 26:3 27:9 28:21 30:12  
 43:8,15 46:22 50:3  
 51:7 52:15 55:19  
 69:10 71:15 76:5,8,10  
 78:2 79:21 81:7 82:7  
 89:8 93:7 95:6 97:17  
 100:12 101:21 102:1  
**reported** 18:11 73:12  
**reporting** 72:9  
**reports** 33:13  
**representative** 71:13  
**representatives** 87:4  
**reps** 88:11,12  
**require** 4:14 44:19  
 48:13 53:4 54:2,10  
**required** 18:5 35:13,14  
 37:1 39:18,21 44:6  
 48:8 49:16 52:3 59:19  
 89:22 99:18  
**requirement** 57:1 93:16  
 94:10,11  
**requirements** 8:1 25:18  
 41:4,10 43:3,19 46:13  
 48:1  
**requires** 7:21 15:18  
 25:9,20 26:5 38:17  
 41:11,22 45:8,13 48:2  
 49:7 65:6 92:7  
**research** 62:3  
**resided** 21:8  
**residential** 7:2 25:4  
 90:4  
**residents** 21:8 22:13  
 30:2  
**residual** 81:17  
**resource** 54:19  
**respect** 89:7,14  
**responded** 22:5  
**responders** 22:3,16  
**response** 11:11 20:20  
 22:2 26:10,12 39:12  
 41:18 42:11 43:17,18  
 80:2 83:2 97:4  
**responses** 73:21  
**responsibility** 23:19  
**responsible** 73:18 76:4  
 90:21  
**rest** 50:6  
**restricted** 63:4  
**restrooms** 4:6  
**result** 11:11 17:9 21:10  
 21:16,18 23:16 24:1  
 62:3 68:7

**resulted** 6:17 20:18  
 22:2 23:6 28:14,16  
 30:10,15 34:18  
**resulting** 6:8,15 24:19  
 27:2 28:11 32:3  
**results** 58:16 64:2  
**revealed** 33:17  
**review** 25:17 46:22  
 67:15  
**reviewed** 46:18  
**reviewing** 68:5  
**revise** 50:7 53:3,22  
 54:9 86:1,5,15 87:8  
 87:16 88:5,9  
**revised** 73:8,10,10  
**revisions** 50:18  
**rewrite** 71:20  
**Reznicek** 100:18  
**Richard** 1:15 3:8  
**Richter** 20:2  
**Rick** 1:11 3:7  
**Rico** 3:16 6:2 11:17  
 13:18 21:17 36:8 45:1  
 47:20 64:21 69:18  
**right** 3:8 69:4 70:12  
 75:21,21 76:15,16  
 77:17 79:12 80:12,19  
 80:19  
**rightly** 74:14  
**rigor** 51:5  
**ringing** 3:21  
**rising** 19:10 27:4 56:7  
**risk** 7:1 26:13 28:22  
 39:6,13,14,18,19,22  
 47:8,10,13 48:13  
 50:22 54:15 57:2  
 58:22 62:19 64:15  
 65:2,5,6,21 66:1,8,10  
 66:14,17 89:15,16  
 95:1  
**risks** 9:21 26:4 59:1,2  
**RMP** 9:17 10:2 39:21  
 40:4,10,22  
**robust** 47:13  
**role** 16:4  
**room** 5:9 9:15 10:9 18:3  
 29:17 87:7 88:12 97:2  
**rooms** 33:6  
**root** 27:9  
**rotating** 14:4  
**rounds** 32:18  
**route** 4:5  
**routine** 17:4 92:13  
**rule** 39:6,11 41:1 90:15  
 93:18 94:1  
**rulemaking** 94:18  
**rules** 50:10 87:1 96:3  
 96:14

**running** 22:19 56:5  
**runoff** 23:9  
**rupture** 52:20  
**rush** 80:10

---

**S**

---

**S** 2:1 3:1  
**sadly** 74:20  
**safe** 46:17  
**safeguards** 8:10 30:15  
 64:20  
**safely** 80:11  
**safety** 1:1,10,11,12,22  
 3:6 6:21 8:2,21 10:11  
 25:10,12,13,22 26:6,8  
 29:10 30:18,19,20  
 31:7 35:14 36:9 43:21  
 45:6,10 51:20 52:1,20  
 60:8,17 64:22 66:6  
 67:4,5,15 71:11 79:14  
 97:9,10 100:20  
**safety-critical** 31:16  
 67:21  
**safety-instrumented**  
 66:7  
**Saint** 83:13  
**San** 3:15 6:2 11:18  
**satisfy** 43:2  
**Savage** 83:4,5  
**saw** 26:10 30:5 35:17  
 37:20 71:11 74:4  
**saying** 40:17 75:5  
**scale** 20:3 98:3  
**scenario** 56:4 61:13  
 63:16  
**scenarios** 39:20  
**scene** 22:22  
**schedule** 78:17  
**schedules** 59:12  
**schematic** 33:1  
**schools** 90:5  
**screen** 29:12  
**Screening** 1:16  
**second** 3:11 52:8 81:11  
**secondary** 33:19 36:15  
 36:17  
**Secondly** 4:6  
**seconds** 20:1  
**section** 47:22 54:1  
**sections** 88:3  
**Sector** 52:2  
**security** 19:13 21:20  
 83:11  
**see** 9:14 63:22 68:4  
 72:14 74:7,15 86:4  
 99:2,16  
**seeing** 67:22  
**seen** 20:12 60:19

- select** 90:17  
**selected** 52:10  
**self** 65:16  
**seminar** 101:1  
**send** 101:14  
**sending** 87:20  
**sensitive** 51:2 91:16  
 100:6  
**sensor** 37:14,18 41:21  
**sent** 5:22 18:2 19:12  
 32:11  
**sentence** 85:7  
**separate** 51:11 53:16  
**serious** 36:9  
**seriously** 76:2  
**service** 18:5 24:17 34:5  
 35:19  
**session** 3:13  
**set** 100:9  
**Seven** 20:1  
**shame** 56:20  
**share** 71:5  
**sharing** 75:18  
**sheen** 33:21  
**sheet** 5:5,7 68:20  
**shell** 34:20  
**shelter** 22:21  
**shift** 29:9  
**shifts** 14:4 73:12  
**ship** 13:2 81:5 82:3,4  
**Shipmanagement** 81:4  
**shipment** 17:8  
**shipped** 23:14  
**shockwave** 20:13  
**shorelines** 41:9  
**short** 94:6,7,8  
**shortcomings** 76:21  
**shorter** 5:14  
**shortfalls** 74:3  
**shortly** 18:13  
**show** 11:7 16:21  
**showed** 100:9  
**shows** 13:15 15:17  
 20:21 33:2 72:7  
**shut** 19:6 91:14  
**shutdown** 24:15 49:14  
**side** 4:7,8 10:9 14:12  
 15:7,10 18:11 31:19  
 33:4,8 35:6 37:17  
 83:21  
**sides** 9:5  
**sign** 5:3,8 68:13  
**sign-up** 5:5 68:19  
**signal** 3:3 42:9  
**signed** 85:14  
**significant** 16:4 20:18  
 22:2 23:7 24:1,18  
**similar** 6:12 7:11 23:21  
 24:4 26:19 52:18,19  
 53:14,14,20 54:6 61:6  
 74:3  
**simple** 17:21 58:4  
**single** 54:18  
**single-tank** 63:16  
**site** 13:10,12 19:14  
 23:11 28:12 30:11  
**sites** 7:4,4 26:7  
**six** 18:20 97:16  
**size** 16:17 62:14 66:13  
**slide** 72:19  
**slightly** 88:6  
**small** 93:18,22  
**smaller** 17:10  
**smoke** 5:22  
**societal** 7:1 26:13  
**soil** 6:10  
**sold** 43:5  
**Solutions** 78:12  
**somewhat** 71:15 72:22  
 74:10  
**soon** 20:5 77:19  
**SOPs** 83:20  
**sorry** 15:21,21 70:18  
 80:11  
**sort** 61:9,10,13 66:22  
 67:13,13 68:2 86:3  
**source** 19:16  
**space** 16:7 27:10  
**sparse** 35:3  
**SPCC** 33:16 41:10,21  
 42:5 43:2,6,17 50:9  
 71:21 73:11,13 89:5  
 90:15,16 91:1,6,10,22  
 92:10,14,16,17,21  
 93:4,6,11,14 94:6  
 96:3,14  
**speak** 67:17 69:11  
**specific** 8:16 38:22  
 66:12  
**specifically** 26:7 62:22  
**specifics** 77:6  
**spectrum** 64:3  
**spill** 34:1 39:9 41:3  
 42:19 50:8  
**spills** 26:17 34:12,13  
 35:9 50:12 70:6  
**spotted** 29:14  
**sprayed** 18:15  
**spread** 96:20  
**staff** 1:14 4:17 14:11,13  
 14:19,22 15:14 33:7  
 34:7 59:10,19 68:13  
**staffed** 14:1  
**staffing** 8:13 36:22 59:6  
 59:14  
**stairs** 4:1  
**stakeholder** 77:13  
**stakeholders** 60:22  
 99:18  
**standard** 8:13 35:14,15  
 36:4 44:2,5,7,11 45:4  
 45:7,8 46:1,9,21 47:1  
 47:11,12,15 48:6 49:2  
 53:4 86:21,22 87:11  
 88:10  
**standards** 7:7 8:1 38:5  
 48:20 54:20 56:11  
 66:6 75:2,3 76:19  
 85:19  
**start** 11:5 75:5 84:18  
 85:15  
**started** 11:20 18:14  
 22:19 33:10 84:12  
 101:18  
**starting** 87:17  
**starts** 10:7 82:18  
**startup** 28:11  
**state** 48:20 68:21 95:15  
**state-of-the-art** 57:22  
**stated** 34:6 71:17  
**statement** 71:3  
**states** 25:7 56:10 71:7  
 74:8 91:3  
**stationed** 17:14  
**stationer** 42:11  
**stations** 13:22  
**status** 43:16  
**statutes** 38:11  
**steps** 41:8 64:17  
**Steven** 85:18  
**stocks** 50:14 53:11  
**stop** 19:13 41:16  
**storage** 6:5 8:11 9:10  
 12:17,22 13:13 17:7  
 17:11 20:1,6 24:9  
 27:1,5 29:22 34:17  
 38:14 46:20 47:3  
 50:13,21 51:9 52:11  
 52:21 53:9 54:4 94:3  
 100:2  
**store** 91:12  
**storing** 25:7,19 29:3  
 38:6,14 39:1,16 40:3  
 40:12 44:3 48:3 50:14  
 52:11  
**storm** 28:7  
**storms** 32:14  
**stormwater** 23:12  
**straightforward** 67:14  
**streaming** 3:4  
**street** 4:3  
**streets** 22:17,19  
**stress** 92:2 94:9  
**stressed** 70:22  
**stressing** 70:1 93:10  
 94:2,22  
**strict** 87:1,9  
**strike** 64:1  
**strikes** 32:8 63:20  
**strong** 19:5 94:13  
**structures** 25:14  
**struggling** 75:1  
**studies** 59:8  
**study** 28:22  
**sub-bullets** 53:15  
**sub-dyke** 96:11,14  
**subject** 8:19 32:5 41:14  
 44:10 91:17  
**subjected** 43:18 46:11  
**submissions** 77:12  
 81:10  
**submit** 5:12 39:18 77:4  
 101:9,10,13  
**submitting** 89:10  
**subsequent** 27:7 83:22  
**subsequently** 13:5  
 36:20 84:13,19 85:6  
**substances** 26:8  
**substantially** 85:9  
**subtle** 82:4  
**sufficient** 36:22 40:16  
 59:21 60:3  
**summarize** 50:6  
**summary** 11:14 46:22  
**supervisor** 18:11,12  
 19:9,12,14  
**support** 76:9  
**supported** 47:8  
**suppose** 55:13  
**supposed** 58:2  
**sure** 22:18 69:2,3 82:17  
 85:16 86:8 87:18  
 88:16 101:3  
**surely** 72:7  
**surrounding** 6:10 9:18  
 23:8 90:10 94:12  
**survey** 52:10 92:6,7,8,9  
**susceptible** 32:12  
**Sustainable** 78:12  
**Swackhammer** 88:17  
 88:18  
**Swiss** 30:12 72:19  
**switch** 24:14  
**switching** 16:18  
**synchronization** 32:4  
**system** 8:2 15:8,17  
 25:10,12,21 28:7  
 30:18,19 31:1,2,15  
 32:6,17 37:15 38:1,3  
 41:18 42:11,12,12  
 45:10 47:8 48:3,12  
 51:4,12 53:6,17 54:3

56:1,6,17,18 57:6,22  
58:8,12,21 60:19,20  
96:9,10,10  
**systematic** 25:13 30:19  
45:17 57:9  
**systemic** 30:11  
**systems** 14:17 25:22  
49:13 51:11,14,19  
52:1,5 54:11 55:17  
57:6,8 64:15,22 66:7  
79:15 90:14 95:18  
96:10

---

**T**

---

**T** 2:1,1  
**table** 73:20  
**tables** 85:3,10  
**take** 4:9 16:9,10 17:11  
55:2 76:13 87:16 88:8  
89:17 90:11 91:8 92:2  
94:8,20  
**taken** 81:14 86:14  
100:6  
**takes** 50:22 57:8 76:2  
**talk** 11:12 72:3 81:22  
93:6  
**talked** 67:3 89:3,16  
**talking** 62:10 64:17  
90:19,20 93:2,2 96:5  
96:15,18  
**tank** 3:14,15 6:5 7:21  
8:20,22 9:4,16 10:1  
11:12,16 12:8,18,21  
13:1,11,14 14:1,1,11  
14:19,19,20 15:1,3,6  
15:7,8,10,14,16,19,20  
16:5,7,17 17:7 18:4,6  
18:8,9,10,12,14,20  
19:2,3,4,7,7,14 20:9  
20:18,22 21:5 22:9  
24:9,12,16 25:7,18  
26:18,20 27:1,5,13,14  
28:1,17 29:2,15 30:1  
30:4,15 31:18,20,21  
32:10,20 33:9,14  
34:19,20 35:1,3,4,8  
35:12 37:4,9,15,19  
38:4,6 39:1,11,12  
41:10,13,17,20 42:10  
42:13,16 44:2,5,8  
46:11 47:16 48:3,9  
49:10,11 50:21 51:4,9  
51:12 52:22 53:17  
54:16,20 56:7 59:8,20  
61:7 63:3,5 78:18  
83:8 84:6,9,12,15,15  
84:18,19 85:1,3,10  
94:3 95:18 96:2,11,20

96:21 100:2  
**tank's** 18:16 35:5  
**tanker** 13:21 17:5 18:19  
**tanks** 6:15 8:11 12:18  
12:18 13:6,14 15:4  
16:6 17:11,18,20,20  
18:2 20:1,6 24:21  
28:13 34:16,17 37:1  
37:10 38:14 46:20  
47:3 49:12,17 52:21  
53:9 54:4 70:22 82:9  
84:4 96:3  
**tanks.f** 16:19  
**tape** 15:5,19,22 18:1  
32:1 33:4 37:16 43:1  
**teach** 83:14  
**teaching** 62:18  
**team** 11:3 30:17 34:21  
49:20 52:8 74:6  
101:16  
**Teamsters** 97:8  
**tear** 32:5  
**tease** 74:9  
**technical** 81:4 82:16  
**technology** 65:15  
**telepulse** 42:11  
**tell** 22:17 36:14 66:11  
**ten** 58:17  
**tends** 72:6 76:11  
**term** 78:2 80:12 89:15  
100:20  
**terminal** 3:14 7:21  
13:16 17:16 19:9  
24:10 26:20 29:5  
35:20 36:3 44:3,16  
64:11 83:16 96:7  
**terminals** 25:7,19 26:18  
29:3 30:1,4 38:6 39:1  
39:11,12 44:5,9,16  
47:5 52:13 54:21 61:7  
69:8 71:6 79:19 83:11  
90:9 92:16 96:9 99:17  
**terms** 67:10 69:13 75:4  
82:9 89:22 92:5 93:16  
94:16,22 99:12 100:8  
**test** 41:21  
**testimony** 32:21 62:21  
**testing** 8:11 57:10  
**tests** 52:4  
**Texaco** 26:20  
**text** 50:2,4,5  
**thank** 5:2 8:5 10:6,16  
55:1,4,21 69:1,9  
70:20 76:22 77:1 80:3  
80:4 82:14 83:19 84:3  
84:10 85:11,12 88:14  
95:5,7 96:22 97:1,7  
99:5,6,6,10 100:14

101:5 102:2,3  
**thankfully** 23:22  
**thanks** 61:3,4 69:2  
82:15 85:4 88:15  
100:15,15  
**that'd** 68:22  
**theoretically** 46:17  
**thing** 30:7 70:2,3 89:14  
98:9  
**things** 3:18 4:9 57:11  
58:21 60:21 62:15  
74:7,16 75:20,21  
89:11 92:5 94:9,15  
97:12,20 98:14  
**think** 3:13 4:8 7:12  
58:19 67:7,12 71:12  
71:18,19,21 72:8,19  
72:21 73:15 74:9,17  
74:19,20 76:6,11,11  
76:14,15 77:12 78:16  
79:16 81:7 82:8 85:13  
85:14 89:8 98:8,18  
99:3 100:4 101:2,7  
**third** 4:13 84:10  
**third-party** 14:22  
**thorough** 45:17 47:10  
**thought** 65:20 68:6  
**thoughtful** 101:21  
**thoughts** 59:13 99:7  
**three** 4:14 14:4 19:11  
20:8 60:2 93:17  
**three-year** 94:19  
**threshold** 39:17  
**throw** 75:14 87:2  
**THURSDAY** 1:7  
**ties** 67:1  
**time** 15:15 16:9 18:10  
20:4 24:17 30:4 31:22  
32:9,20 33:3 55:2  
60:9 62:1 67:5 77:11  
80:18 81:6 84:10,21  
86:10 87:15 88:7  
99:22  
**times** 11:22 41:6 73:13  
**timing** 80:8  
**titled** 95:2  
**today** 3:11,21 4:12,20  
8:5 11:2 62:8 65:15  
71:3,7 81:11 88:22  
93:8 95:5 99:19 101:6  
**told** 22:14,15  
**Tom** 69:21 70:19  
**toolbox** 90:17  
**topic** 101:2  
**total** 18:17  
**toxic** 39:16  
**Toxics** 9:12 29:21  
**track** 72:18 98:14

**trade** 75:13  
**Trading** 29:6  
**train** 65:20  
**training** 8:13 57:10  
**transcriber** 70:11,14  
**transcript** 1:21  
**transfer** 14:6,7,10 15:2  
17:4,13 33:18 36:11  
36:22 44:17 54:17  
81:18  
**transferred** 13:2,13  
35:12  
**transferring** 28:1 29:8  
34:16  
**transfers** 80:7  
**transformative** 67:9  
**transforming** 68:2  
**transmits** 16:1  
**transmitted** 15:12  
**transmitter** 15:11 16:1  
18:2,4 32:4 33:5 34:5  
43:2  
**transmitters** 31:18  
32:11,16  
**transmitting** 33:5  
**travel** 67:2  
**treating** 26:1  
**treatment** 12:17 14:2  
19:19 36:19 60:2 96:8  
96:9  
**Trevor** 80:20 81:3  
**TRI** 30:7  
**Troy** 88:17  
**trucks** 13:20,21 18:19  
**truly** 69:17  
**trust** 8:17  
**try** 4:22 19:16 87:10,14  
101:7,10  
**trying** 77:22 100:4  
**turn** 10:18 68:12  
**Turnpike** 9:3  
**two** 13:7,16 14:1,16  
17:6,18,19 20:15 28:4  
57:14 58:21 59:20  
60:1 81:9 84:4  
**two-page** 35:22  
**two-year** 94:18  
**type** 39:2  
**types** 14:16 67:11  
**typically** 64:11 92:17  
**typo** 86:3

---

**U**

---

**U.K** 62:4 67:2 68:7  
**U.S** 1:1,10,11,12,22  
7:16 71:9 88:18  
**unabated** 28:3  
**unacceptable** 79:15

**underlies** 58:20  
**underlying** 79:11  
**understand** 10:3 13:9  
 16:20 58:1,22 59:1  
**understanding** 43:16  
**understood** 60:19  
 61:18 62:3,7,13,15  
**unfortunately** 24:4 66:9  
 76:10  
**Union** 97:9  
**unique** 7:5  
**unit** 21:2,14  
**United** 24:11 25:6,6,17  
 56:10 71:6 74:8  
**universe** 43:9  
**unleaded** 17:5  
**unloading** 16:12  
**unreliable** 32:17 58:17  
**untouched** 74:21  
**update** 35:17 46:2 49:5  
 93:6  
**updated** 35:11,21 41:6  
 44:20,22 49:5 65:13  
**updates** 35:15 66:2  
**use** 9:7 17:9 25:9 26:12  
 48:2 58:10 79:9 80:15  
 96:9 98:6 100:20,22  
**user** 62:7  
**utilize** 71:20  
**utilized** 16:13 96:8

---

**V**


---

**valid** 98:9  
**value** 60:21  
**valve** 18:9 36:13,17  
 37:4 84:14 85:1,5,6  
**valves** 14:7 17:15 19:18  
 33:18,20 34:2,18  
 36:15 37:2 96:15  
**vandalism** 35:9  
**vapor** 6:5 11:11 13:5  
 18:15,22 19:20 24:9  
 26:22 28:8 61:11,20  
 62:14 70:4  
**variance** 83:10  
**varied** 16:17 42:5  
**various** 14:8 38:11  
**vehicle** 28:11  
**vendors** 16:8  
**vents** 18:15,20  
**verify** 15:1 67:17  
**version** 44:13 49:3,6  
**versions** 44:19,21  
**vessel** 17:5  
**Vice** 69:7  
**video** 23:1,3 100:10  
**Vidisha** 1:16 2:4 7:19  
 10:7,14,17,19 55:4,12

69:9 90:14 100:9  
**view** 15:10 29:11  
**viewed** 67:12  
**vigilant** 79:18  
**violation** 36:10 75:7,8,8  
**violations** 76:21  
**visible** 8:22  
**visit** 74:7  
**visited** 74:15  
**visual** 48:11  
**voluntary** 48:21 87:10  
**vote** 4:19 101:20  
**voted** 49:21  
**vulnerability** 89:19 90:2  
 90:3 91:18 94:11 95:2

---

**W**


---

**W** 82:22,22  
**Wagner** 82:20,21  
**waiting** 34:7  
**waking** 23:4  
**want** 3:22 5:7 9:9 49:5  
 50:20 51:8,8 75:14  
 77:4 80:15 90:11 95:9  
 99:8 101:5  
**wanted** 79:9 84:20,21  
 95:21  
**warm** 18:21  
**warnings** 98:10  
**Washington** 73:6  
**wasn't** 56:5 59:20 60:3  
 62:13  
**wastewater** 12:17 14:2  
 19:19 36:19 60:2 96:8  
 96:9  
**watching** 5:11,16  
**water** 23:15 38:12 39:9  
 41:2 91:15  
**waters** 41:9  
**waterways** 6:10  
**wave** 21:11  
**way** 4:4,20 31:6 66:1  
 67:10 71:7 78:3 79:22  
 84:16 98:13 101:13  
**we'll** 4:17,22 5:13 68:12  
 87:5,5,10 88:1,1  
 101:3,7,15 102:3  
**we're** 3:2 40:17 49:3  
 52:21 55:7,8 62:10  
 64:17 80:14,14 86:19  
 86:20 87:1,7,14,15,16  
 87:20 88:8 93:1 95:12  
 96:15,18 100:6  
**we've** 49:17 69:10,11  
 94:19  
**wear** 32:5  
**Weaver** 69:2,4,6,6 70:5  
 70:7,12,21 77:2 79:11

89:3  
**web** 3:4  
**webcast** 5:11  
**Wednesday** 17:2  
**week** 27:21 77:21,22  
 101:7,11  
**weeks** 32:15  
**welcome** 3:10 4:21 5:15  
 5:18 77:6 81:7 88:13  
**well-supported** 63:17  
**well-used** 63:17  
**well-written** 89:9  
**went** 76:14 84:9 85:10  
 102:4  
**weren't** 3:18 22:20 34:9  
 34:9  
**wetlands** 6:11 23:11  
**what-if** 56:4  
**white** 19:10  
**wide** 8:9 64:3  
**wider** 87:2  
**wildlife** 91:15  
**winding** 95:12  
**windless** 18:21  
**window** 77:11  
**witness** 95:19  
**women's** 4:7  
**wondering** 97:17  
**words** 63:18  
**work** 24:3 31:6 57:7,12  
 58:1,2,8,13 59:19  
 60:13 66:22 67:10  
 78:11,14 85:22 86:11  
 87:21 88:20  
**workaround** 37:3  
**worked** 60:9  
**worker** 98:19,21  
**workers** 9:20 28:5  
 43:22 45:3 99:2  
**working** 59:11  
**workplace** 44:1  
**works** 76:1  
**world** 26:18  
**worry** 63:21  
**worse** 58:11  
**worst** 93:19  
**worst-case** 39:19 61:9  
 61:13 90:8 91:14  
 93:19  
**worth** 21:15  
**wouldn't** 57:19  
**written** 76:8,10 77:5  
 81:9  
**wrongly** 74:14

---

**X**


---



---

**Y**


---

**yeah** 60:5 63:14 65:11  
 65:22 69:1 79:7 85:16  
 85:16 95:10 97:6,6  
 99:8,8  
**year** 58:17 69:22 87:20  
**years** 57:15 73:9 78:1  
 97:16 100:1  
**yellow** 5:7

---

**Z**


---

**zones** 62:12

---

**0**


---

**09021(r)7** 86:5

---

**1**


---

**1** 18:13 40:9 48:5 89:7  
 89:15  
**1,000** 83:11  
**1,200** 48:4  
**1.76** 27:1  
**10** 1:7 2:4 11:18 17:4  
 18:7 57:14 91:5  
**100** 58:15 81:20 82:2  
**101** 2:7  
**107** 18:22 31:18 84:6,9  
 84:15,17  
**11** 28:13,14,15  
**112** 89:21  
**112.8(c)8** 90:15  
**115** 12:15  
**11th** 24:8  
**12-year** 33:16  
**12:23** 20:4  
**15** 26:16 34:13 48:11  
 72:2 98:12  
**1500** 27:13  
**152** 21:20  
**157** 29:15  
**17** 20:5  
**170** 13:22  
**170,000** 23:14  
**179** 12:14  
**18,870** 81:20  
**1910.106** 44:12,21 45:2  
 49:1,5  
**1910.119** 45:7  
**1955** 11:21  
**1962** 12:1  
**1968** 44:13 49:2  
**1974** 41:5  
**1983** 26:19  
**1984** 12:2  
**1987** 12:4  
**1990** 38:12  
**1992** 33:13 34:14  
**1996** 39:14 40:14 42:5  
 42:15

1999 34:14 35:7,18  
42:15  
1B 48:8

---

**2**

2 40:8 48:5 84:12 90:19  
2.5 12:19  
2.9 20:2  
20 18:19  
200,000 18:18  
2000 12:6  
2001 12:7  
2004 33:13  
2005 6:13 24:7,8 34:14  
69:16  
2006 69:17  
2008 43:7  
2009 5:21 6:3 12:21  
16:21 17:3 27:22  
47:21  
2010 12:8 23:19 42:20  
74:2 91:21  
2012 29:21 43:15 56:21  
86:7,10  
2013 57:15  
2015 1:7 86:6,8  
2017 87:22  
21 82:6  
21st 17:2  
22 23:15 24:21  
22nd 4:2,3 17:17 18:7  
2350 46:21 54:9 56:21  
57:13 65:5,12 66:3  
71:20 73:10 86:2,5  
23rd 5:21 12:21 16:21  
24 17:12 27:2,18  
25 21:12  
250 21:10  
26 20:4  
27 22:8  
289 21:11  
29th 27:22

---

**3**

3 2:2 34:14 39:3 40:7,12  
40:16,19 50:16 53:12  
93:1  
3,000 29:22  
30 44:14,21 49:3,4,6,7  
54:7  
300 6:8 20:13 83:12  
300,000 30:2  
30100 66:7  
39 28:19  
3A 48:5

---

**4**

4 40:4,5,10

40 89:21  
409 12:21 17:20 18:4,9  
18:10,12,14 19:4  
30:16 31:18 34:5 38:4  
84:6,8,15,16  
411 17:20 18:8  
43 25:2 81:16  
48 12:17  
48,000 12:4 21:7

---

**5**

5 53:21  
50 92:1  
530 22:4  
55 2:5

---

**6**

6 25:1 28:15  
61511 51:22 66:6  
61511-SER 53:18  
65 12:20  
68 2:6

---

**7**

704 39:3 40:3 53:12  
704.3 52:12  
75 28:3  
7th 26:19

---

**8**

8th 81:10,12

---

**9**

C E R T I F I C A T E

MATTER: Public Meeting RE Caribbean Petroleum

DATE: 06-18-15

I hereby certify that the attached transcription of pages 1 to 118 inclusive are to the best of my belief and ability a true, accurate, and complete record of the above referenced proceedings as contained on the provided audio recording.

*Neal R Gross*

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

ATTACHMENT A:  
STAKEHOLDER COMMENTS



Chemical Safety Board  
2175 K Street NW  
Washington, DC 20037

June 17, 2015

**RE: ILTA Comments in Response to the Chemical Safety Board's June 8 Draft Final Investigation Report on the Caribbean Petroleum Corporation (CAPECO) Tank Terminal Explosion and Multiple Tank Fires; Report No. 2010.02.I.PR**

The International Liquid Terminals Association (ILTA) is an international trade association that represents 83 commercial operators of aboveground liquid storage terminals serving various modes of bulk transportation, including tank trucks, railcars, pipelines, and marine vessels. ILTA members operate in 39 countries and all 50 states, as well as Puerto Rico. These companies own more than eight hundred domestic terminal facilities and handle a wide range of liquid commodities, including crude oil, refined petroleum products, chemicals, biofuels, fertilizers, and vegetable oils. Customers who store products at these terminals include oil companies, chemical manufacturers, petroleum refiners, food producers, utilities, airlines and other transportation companies, commodity brokers, government agencies, and military bases. In addition, ILTA includes in its membership nearly four hundred companies that are suppliers of products and services to the liquid storage industry. CAPECO is not a member of ILTA.

ILTA appreciates the opportunity to provide the following comments and recommendations in response to the Chemical Safety Board's (CSB) Draft Investigation Report on the October 2009 CAPECO gasoline storage tank overflow and explosion incident.

#### **ILTA Generally Supports CSB's Findings, but Disagrees with its Recommendations**

ILTA supports, in general, CSB's characterization of the events surrounding the incident. For instance, the facility experienced numerous incidents, overfills and violations throughout its history. In particular, the report highlights 15 incidents of spills and overfills between 1992 and 1999, during which time the facility was subject to the Occupational Safety and Health Administration's (OSHA) Process Safety Management (PSM) Standard. Despite this regulatory threshold, operating procedures at CAPECO had repeatedly been found to be inadequate and were cited in numerous regulatory investigations. Put plainly, inoperability of critical facility safety equipment was a direct and material contributor to the October 2009 incident.

The report's findings make it clear that the facility had a long history of operational and compliance problems, including violations of existing standards and regulations. Equipment was not properly maintained, and facility procedures were seemingly inadequate to cope with the resulting operating conditions. All of these issues point to management deficiencies and persistent shortcomings in the facility's adherence to existing regulations and its own procedures and requirements.

**ILTA Comments Responding to the Chemical Safety Board  
Caribbean Petroleum Corporation Draft Final Investigation Report  
June 17, 2015**

Claims by CSB that certain deficiencies in existing regulations should be the focus of its recommendations sidestep the root cause of significant violations which enabled the incident to occur. No amount of duplicative regulation can guarantee that a known violator will suddenly comply. CAPECO's own history of 15 spill and overfill incidents between 1992 and 1999 proves positive that redefining PSM applicability to the facility in subsequent years would not have reasonably assured any difference in outcome. Thus, ILTA would have expected CSB to issue recommendations that address the longstanding management shortcomings cited over many years of operation.

ILTA is disappointed in the draft recommendations for they abjectly fail to address the CAPECO management shortcomings. Rather, they call for more regulations, stricter standards, and more burdens for the entire tank storage industry without justification. Such recommendations fail to address the underlying problems leading to the CAPECO incident. Not only were the shortcomings at CAPECO left unaddressed, no explanation was given for how CAPECO would have better adhered to such stricter standards when it had such basic problems adhering to those in place at the time.

Unfortunately, the good effort that CSB made in developing its findings would be obviated by the illogical recommendations proposed in its draft report.

**CSB Should Replace its Recommendations to Arbitrarily Expand Requirements with Targeted Measures to Improve Effective Implementation of Existing Standards**

The operating community welcomes recommendations that would address systematic failures that enabled the October 2009 event to occur. Based on CSB's own findings, such recommendations would address shortcomings in CAPECO's adherence to existing standards, requirements and safe operating practices. Indeed, ILTA is disappointed that the proposed recommendations failed to address the numerous operational, procedural and compliance shortcomings at CAPECO that, both individually and collectively, were the root cause of the October 2009 explosion.

Thus, ILTA strongly recommends that CSB rescind its proposed recommendations to arbitrarily redevelop industry standards and expand existing regulatory burdens, and replace them with recommendations that would drive improved implementation of appropriate safety and compliance requirements, as already required by law, at facilities that handle flammable liquids.

Specifically, ILTA recommends the following:

1. *EPA should recommend the adoption of industry standards as a means for compliance with overfill protection requirements of its Spill Prevention Control and Countermeasures (SPCC) and Facility Response Plan (FRP) rules.*

EPA's SPCC and FRP rules require suitable overfill prevention measures to be in place and endorsed by a professional engineer. CAPECO failed to comply with this regulatory obligation. Adopting existing industry standards would be an effective means of compliance.

2. *Facilities handling NFPA category 3 flammable liquids should be encouraged to adopt formal management systems, especially for spill prevention practices.*

**ILTA Comments Responding to the Chemical Safety Board  
Caribbean Petroleum Corporation Draft Final Investigation Report  
June 17, 2015**

Had such a program been in place at CAPECO, better procedures would have been developed to ensure proper maintenance, and better procedures would have been expected for contingency operations.

3. *Regulatory agencies such as EPA and OSHA should consider options to enhance their compliance verification activities.*

While there are multiple approaches to enforcement, arguably the most important is to ensure that operators with a record of repeated violations are engaged by the regulating agencies.

Undoubtedly, storage terminal facilities have a duty to comply not only with applicable regulations but also with their own internal procedures and practices. CAPECO did not operate with this high standard of care. Where outliers such as CAPECO are identified, it is essential that checks and balances are in place to rectify the situation, whether through improved management practices or ultimately through regulatory enforcement.

### **Conclusions**

Fundamentally, the single point of failure at CAPECO was an operator who failed to adequately steward tank filling operations despite knowledge that product in excess of the tank's capacity was being transferred with an inoperable level transmitter and unreliable side gauge. Worse, this operation was allowed to proceed without redundant overfill protection. Finally, the operation violated existing SPCC regulation §112.8(c)(8) and 112.12(c)(8). Management practices at CAPCEO on the day of the incident allowed regulatory requirements, industry standards and company procedures to be violated.

Adoption of and adherence to industry standards is of paramount importance. The mere presence of a regulation or procedure at a facility such as CAPECO was proven insufficient to ensure adherence, and avoidance of such an incident will not be rectified by meting out additional layers of demands. CSB recommendations made a sweeping indictment of the entire tank storage industry, despite its generally very safe record according to OSHA's recordable incident logs. Implementation of ILTA's recommendations for better standards, procedures and compliance verification will do more to improve performance at the more deficient operators than will the addition of new layers of regulatory complexity.

CSB's ultimate recommendations do not reflect this fact. Additional regulation would only serve as a burden to those facilities already in compliance and of be no further deterrence to bad actors.

Thank you for your consideration of these comments. Should you have any questions, please contact Mr. Tom Dunn at 703-875-2011 or [tdunn@ilta.org](mailto:tdunn@ilta.org).

Sincerely,



Tomas W. Dunn

Manager of Regulatory Compliance and Safety



# INTERNATIONAL CHEMICAL WORKERS UNION COUNCIL

1655 West Market St., Akron, OH 44313 / 330-926-1444 / Fax: 330-926-0816

FRANK CYPHERS, PRESIDENT  
NEAL DILLARD, SECRETARY-TREASURER

Visit our Web Site  
[www.icwuc.org](http://www.icwuc.org)

June 17, 2015

Member Manny Ehrlich  
Member Rick Engler  
Member Mark Griffon  
US Chemical Safety Board  
2175 K. Street, NW, Suite 400  
Washington, DC 20037-1809

Dear Sirs:

I would like to add some comments on the draft Caribbean Petroleum report discussed at the CSB's June 10 meeting. As I mentioned in the morning's meeting, all local stakeholders deserve to hear a draft report, findings and recommendations well in advance of a vote of the Board. I strongly urge the Board to consider sending a small group of investigators and one Board member to San Juan to present these findings. Also this year, the Board chose to present the Millard Refrigeration, Mobile, Alabama report in New Jersey. Even though that facility now functions under a different management and with a different operation, it would be of value to the Mobile community to hold a public meeting there. Given this is the second instance in 2015 where the CSB has chosen not to hold a public meeting at the location of the incident, I would request a clarification at the next public business meeting what the CSB policy is on holding at least one public meeting at the location of the incident.

A theme that runs through the CAPECO report is the exemption from many OSHA standards of gasoline as a hazardous material. The CSB is not bound by these exemptions and I support the findings and recommendations related to this issue. There is no sound health and safety consideration to retain these exemptions.

For those who state that they already implement the recommended measures and have no need of additional regulation, there would be little extra work. However for those who were not in the room and do not implement these measures, that is good reason to recommend these measures and the mission of CSB. Regulations are intended to ensure uniform good practices are in place and the fact that a significant portion of any industry follows these practices is NOT a reason to fail to recommend these measures. Rather, it is good evidence that measures such as automatic overfill prevention measures are practical and feasible.

Some commenters mentioned that there should be increased enforcement of existing standards of companies with poor practices (described as a poorly maintained operation). I support this comment and hope these commenters will followup and support efforts to provide the funds to increase enforcement of those who flaunt the law, safe practices and common sense. It does not mean, however, that there should not be changes in existing regulations. In particular, if the investigation points to a gap or weakness in existing standards, they should be improved. Regretfully, some parties may ask for more enforcement in a CSB context but often want enforcement funds shifted to consultation and in general want government role and funding decreased. Enforcement is one of many methods to improve our workplaces.



June 17, 2015


Page 2

There is some mention in both the report and the public meeting of the open dike valves. This contributed to the spread of the gasoline and then fire and significantly increased the damage. I find it troubling that this does not then translate into a recommendation. There is mention in section 1.5 (page 10) of the topography and the open dike valves allowing the vapor to escape. The root cause of the spread was the open dike valves and the findings should reflect that. Further, the report describes that the inspection reports noted inaccurately that the valve was closed. Although there is a section on valve design and it is mentioned as the second physical root cause, this aspect of the incident does not result in any specific recommendations, all the more puzzling since the Indian Oil Company incident with 11 deaths also had an open dike valve.

Finally, it is unclear if the new owners, Puma Energy Caribe, operate any of the undamaged tanks to store gasoline. Similarly, the report states that the reorganized CAPECO operates as a storage facility. If so, I would hope that the final report include recommendations to that management.

Let me know if you have any questions and I look forward to the final report.

Sincerely,

A handwritten signature in black ink, appearing to read "John S. Morawetz", with a stylized flourish at the end.

John Morawetz

Cc: Frank Cyphers  
Neal Dillard  
Darrell Hornback

## McCormick, Amy

---

**From:** William Read <William.Read@eaststaffsbc.gov.uk>  
**Sent:** Friday, June 12, 2015 4:17 AM  
**To:** Public  
**Subject:** Report published on Puerto Rico fire and explosion in 2009

Dear Colleagues

I have received your updates and press releases for some time, and have always found them to be very informative and interesting. Your latest report was particularly interesting, in view of the many similarities between the 2009 Puerto Rico incident and that at Buncefield, UK, in 2005. The table comparing various aspects of the two incidents was very revealing.

If there was one element of the report that I found very surprising, it was the fact that such petroleum storage facilities in the USA and **not** considered hazardous enough to justify involving local communities in their emergency planning and response arrangements. The video re-enactment of the incident showed the devastating effects of the fire and explosion. It is incredible that there were not many fatalities and injuries amongst those living nearby, and the employees of the facility.

The usual arrangement of the launch publicity for CSB reports, that I have noticed for many such reports, is that the launch takes place at a venue near to the site of the incident. However, this latest report and video was launched in Washington DC, rather than in Puerto Rico. Has the CSB changed its policy on the revealed venue for reports etc?

Yours sincerely

**William J Read**  
Resilience Support Officer

East Staffordshire Borough Council  
P O Box 8045  
BURTON UPON TRENT  
DE14 9JG  
United Kingdom

Telephone number +44 (0) 1283 508312

E-mail [william.read@eaststaffsbc.gov.uk](mailto:william.read@eaststaffsbc.gov.uk)  
Website [www.eaststaffsbc.gov.uk](http://www.eaststaffsbc.gov.uk)

12 June 2015, 0900hrs

Please note that there is limited visitor parking at the Maltsters, in spaces ES5, ES6 and ES7. Pay and display car parking is available at the Meadowside Leisure Centre, which is a 5-10 minute walk to the Maltsters.

There is free car parking in front of the Town Hall for a maximum of 2 hours until 1800hrs; in the evenings there is no time limit.

The railway station is a 5 minute walk from the Town Hall and a 20 minute walk to the Maltsters. The Town Hall is also served by bus services 1, 1A, 2, 2A, 3A, 3B, 10, 402, V1, V2 and X38, most connecting with Burton town centre.

*Come and visit the Farmers' Market on the 2nd Thursday of every month in the Market Hall, Burton. Burton's Markets.... Something for Everyone!*



---

This e-mail and files or other data transmitted with it are confidential and intended solely for the use of the individual to whom it is addressed. If you are not the intended recipient, disclosure, dissemination, forwarding, printing or copying is strictly prohibited and you must not take any action in reliance upon it. Please notify the sender immediately and delete the message.

Any views or opinions presented are solely those of the author and do not necessarily represent those of East Staffordshire Borough Council unless explicitly stated otherwise. East Staffordshire Borough Council may monitor the contents of e-mail sent and received via its network for the purposes of ensuring compliance with its policies and procedures.

East Staffordshire Borough Council does not enter into contracts or contractual obligations via electronic mail, unless otherwise explicitly agreed in advance in writing between parties concerned.

The Council believes in being open with its information and the contents of this e-mail and any replies may be released to a third party requesting such information at a future date.

## McCormick, Amy

---

**From:** Wiseman, Kim (KFWI) <KFWI@chevron.com>  
**Sent:** Thursday, June 11, 2015 6:39 PM  
**To:** Public  
**Subject:** Draft Report for Caribbean Petroleum Terminal Explosion

To Whom it May Concern:

I quickly glanced at the draft CAPECO report and noted a possible error in the data represented in Appendix B- Tank Incidents Table. It appears that the number of fatalities and number of injuries may have been switched in the table for the Texaco Oil incident. According to the incident description in the table, there was only 1 fatality, yet the table shows 24 fatalities.

7	Texaco Oil Company, Newark, NJ USA	1/7/83	1	24	Gasoline	Overfill, Vapor Cloud Explosion	A gasoline vapor cloud exploded when a 1.76-million gallon capacity tank overflowed, resulting in one fatality and 24 injuries. Lack of monitoring of the rising gasoline levels in the storage tank during filling operations contributed to the overflow, explosion, and subsequent fire.
---	------------------------------------	--------	---	----	----------	---------------------------------	---

I suggest that you may want to have someone review the data and confirm that it is correctly represented in the table prior to finalizing the report.

Regards,

Kim F. Wiseman  
Advisor, OE Compliance Assurance  
Chevron Corporation  
Corporate HES Department  
6001 Bollinger Canyon Road  
San Ramon, CA 94583  
+1 925 842-5864