

Transcript
U.S. Chemical Safety and Hazard Investigation Board Public Meeting
On
West Pharmaceutical Accident Investigation

7:00 p.m.
Thursday, September 23, 2004
Kinston High School Performing Arts Center
Kinston, North Carolina

Contents:	Page
Transcript of Meeting	1 – 64
Statement of Congressman G.K. Butterfield	65
Statement of Senator John Edwards	66
Statement of Congressman Walter Jones	67
Statement of Senator Elizabeth Dole	68

U.S. CHEMICAL SAFETY & HAZARD INVESTIGATION BOARD
PUBLIC MEETING

HELD AT: KINSTON HIGH SCHOOL PERFORMING ARTS CENTER
2601 N. QUEEN STREET
KINSTON, NORTH CAROLINA

HELD ON: SEPTEMBER 23, 2004

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

PROCEEDINGS

1
2 MS. MERRITT: Thank you, everybody. I
3 would like to call this meeting to order. Good evening
4 and welcome to this public meeting of the US Chemical
5 Safety and Hazard Investigation Board. I'm Carolyn
6 Merritt, Chairman and CEO of the US Chemical Safety
7 Board, or the CSB.

8 Before we begin, I would like to give you some
9 safety information. If you would, please look around
10 and note where the exits are. These two exits do go
11 outside and the two in the back, obviously go through
12 the front doors.

13 Also, if you would please, turn off or mute
14 your telephones so that we are not disturbed in our
15 proceedings. Thank you.

16 We'd like to welcome all of you tonight to
17 this public meeting where the Board will hear,
18 deliberate, and vote on the final report into the tragic
19 explosion and fire that occurred at West Pharmaceutical
20 Incorporated, here in Kinston, North Carolina on January
21 29, 2003. This accident cost the lives of six people:
22 Faye Wilkins, William Gray, Alvin Graft, James Boyd,
23 Milton Merrill, and Kevin Cruis. Thirty-eight others
24 were injured, some, of them permanently with disabling
25 injuries and burns. The Chemical Safety Board has spent
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the last 18 months investigating every detail of this
2 accident, and in a few moments, we will be ready to
3 consider the staff's complete findings, the root causes
4 for this accident, and their recommendations for
5 preventing this from happening again.

6 I would like to thank Lenoir County and
7 Kinston city officials for their kind welcome to us, and
8 we particularly thank the Kinston High School
9 authorities for allowing us to make this presentation at
10 this beautiful facility.

11 With me at the table tonight are Board
12 members, Mr. John Griffin and our newest Board member,
13 Mr. Gary Visscher, who comes to us from his previous
14 position as Deputy Assistant Secretary of Labor at OSHA.
15 This is his first public meeting. Gary, we're very glad
16 to have you with us.

17 Our fourth Board member, Dr. Jerry Poje,
18 could not be with us today, as he is doing a
19 presentation in Sweden on an international conference on
20 safety.

21 Joining us also tonight is our Chief Operating
22 Officer, Charles Jeffress, and our general counsel,
23 Chris Warner, and other members of the CSB staff.

24 Our agenda tonight includes a detailed
25 presentation of the findings by Mr. Steve Selk, the lead
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 investigator for this accident. Mr. Selk will then take
2 questions from the Board members. And Mr. Jordan Barab,
3 of the CSB staff will present the proposed safety
4 recommendations. At that point we will have an
5 opportunity for any members of the public who would like
6 to make a comment on the investigation or the incident
7 to have that opportunity to speak. I would ask that you
8 please keep your comments brief, under five minutes, and
9 relevant to this issue and this investigation. If you
10 plan to comment, please sign up at the table near the
11 front, and I will recognize you in order.

12 Before we begin, I would like to offer a few
13 personal thoughts. The date January 29, 2003 left an
14 indelible impression on me as it did for many people
15 here tonight. I traveled down to Kinston that evening,
16 along with a team of investigators from the Chemical
17 Safety Board headquarters in Washington. We arrived
18 just before midnight in a very cold rain, with the West
19 Plant still in flames. Even then, the community and the
20 resilience of this community was apparent.

21 The emergency response organization to this
22 accident was truly exemplary and that is not often the
23 case, so you have a lot to be proud of with your
24 emergency response to this incident. It was very
25 professional and organized, and we applaud you for the
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 effort.

2 That heroism has continued to this day with
3 the community rallying to rebuild here in Kinston and to
4 survive through this tragedy. We all owe it to the
5 victims in this case to ensure that we learn every
6 lesson that we can from this accident, and that we do
7 everything that we can to prevent its repetition, not
8 just here, but anywhere where these circumstances might
9 also exist.

10 With that objective in mind, we conducted this
11 investigation and are conducting this meeting tonight.
12 Unfortunately the explosion at West was but one of three
13 fatal dust explosions that occurred last year in the
14 United States. The Chemical Safety Board is still
15 investigating two of those. One in Corbin, Kentucky and
16 one in Huntington, Indiana. Altogether those three
17 incidents cost 14 lives and caused untold human
18 suffering.

19 Preliminary information that we have collected
20 indicates that there have been scores of industrial dust
21 explosions in recent years. The Board remains extremely
22 concerned about this issue. For that reason, in
23 addition to the various specific accident investigations
24 that we have conducted, we are also committed to a
25 nationwide study of the problem, which will continue
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 throughout next year. The purpose of the study will be
2 to determine what needs to be done on a national level
3 to reduce the occurrence of these tragedies.

4 With that, I would open it, if there are any
5 opening statements from the Board. Are there any
6 statements?

7 (No response from the board.)

8 MS. MERRITT: I would like at this time
9 to recognize Mr. Reggie Holly from Senator Elizabeth
10 Dole's Office who would like to have a statement made.

11 MR. HOLLY: Madam Chair, distinguished
12 members of this Board and staff, and all of you gathered
13 this evening, Senator Dole dispatched this letter and
14 asked that I read it to you.

15 She states:

16 "Dear members of the United States Chemical
17 and Hazard Investigation Board:

18 I am glad to take this opportunity to welcome
19 you to North Carolina, and thank you for holding this
20 valuable forum regarding the chemical explosion at West
21 Pharmaceutical Plant on January 29th, 2003. That event
22 was a tragedy that we as North Carolinians and
23 Kinstonians, particularly, will not forget. As we move
24 forward, however, it is vitally important that we learn
25 as much as possible about what happened that day, in
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 order to prevent future disaster and to continue to
2 raise our standards of safety and excellence.

3 West Pharmaceuticals is an outstanding
4 corporate citizen of Eastern North Carolina. I support
5 them in their efforts to improve their facilities. I am
6 pleased that the United States Chemical and Hazard
7 Investigation Board has provided its expertise for this
8 project. With the knowledge that today's report will
9 give us, along with the dedication I have seen from the
10 West staff and management, I feel confident that West
11 Pharmaceutical and the city of Kinston will continue to
12 benefit from their partnership.

13 With my warmest, best wishes;

14 Elizabeth Dole."

15 Thank you.

16 MS. MERRITT: I also have two statements, one
17 from Congressman G. K. Butterfield, who sends his
18 regards and says:

19 "I have been watching the process carefully
20 and will do everything possible to support the many
21 people effected by this tragedy."

22 And also I have a statement by U.S.
23 Representative Walter Jones, who offers his sympathy to
24 the family of the deceased and to the community, and
25 also thanks the Chemical Safety Board for its efforts in
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identifying the causes of this accident. Those will
2 both be entered into the docket.

3 If there are no other statements then, I would
4 like to recognize Mr. Charles Jeffress who will
5 introduce the investigative team.

6 MR. JEFFRESS: Thank you, Madam Chair.
7 Following the incident, actually the day of the incident
8 in Kinston, the Chemical Safety Board dispatched a team
9 ultimately of about ten people here to Kinston to
10 investigate the accident, to analyze the evidence, and
11 produce the report that you will hear tonight.

12 Two members of that team are here to
13 participate in the presentation. Other members of the
14 team you see before you. I will introduce them and save
15 the presenters for last.

16 On my right, next to the screen, is Johnnie
17 Banks. He is our Chemical Incident Investigator. He's
18 been with us about two years. Prior to joining the
19 Chemical Safety Board, he worked for 22 years at Chevron
20 Texaco Corporation in Richmond, California. Has
21 extensive background in oil refining, including plant
22 operations, process control and maintenance. He is a
23 graduate of the University of California at Berkeley,
24 and has been busily involved in a number of CSB
25 investigations since he's been here in the past two
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 years.

2 Next to him is Lisa Long who joined the safety
3 board in December of 2000. She has been lead
4 investigator on a number of Chemical Safety Board
5 investigations, including one of Georgia Pacific
6 Corporation down in Alabama and Catalyst Systems in
7 Ohio. Prior to joining us she worked for 11 years in
8 chemical safety for several major chemical companies.
9 She has a degree in chemical engineering from Virginia
10 Polytechnic Institute and State University, better known
11 as Virginia Tech.

12 And then between George and Steve is Angela
13 Blair, Professional Engineer, investigator with the
14 Chemical Safety Board who has extensive experience in
15 process safety both within industry management and as a
16 consultant in the industry. She has helped design and
17 evaluate and implement process safety programs in
18 industries ranging from refining to specialty chemicals,
19 to roofing manufacturing, to food refrigeration. She is
20 also the lead investigator on one of the dust
21 investigations that you mentioned, Hayes Lemmerz, in
22 Indiana.

23 Two her left is Jordan Barab. He's a
24 Recommendations Manager with the Chemical Safety Board,
25 Has 22 years experience in occupational safety and
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 health work, designing, administering, and evaluating
2 the safety and health programs. He has been with the
3 Board two years. For three years prior to that he
4 served as assistant to the OSHA Administrator in the
5 U.S. Department of Labor. He is a graduated of Clarmont
6 College and John Hopkins University.

7 The lead investigator for this incident, the
8 person who will lead off the presentation this evening,
9 on the left, is Steven Selk. He is the Investigation
10 Manager with the Chemical Safety Board. He has almost
11 30 years of experience in chemical engineering and plant
12 operations, in design and management, as well as in
13 accident reconstruction. He served as a field
14 investigator in charge of numerous investigations,
15 including this one. He is a licensed professional
16 engineer in several states, and is a member of number of
17 professional societies in this country and Canada.

18 To begin the presentation, Madam Chair,
19 recognize Steve Selk.

20 MR. SELK: Good evening, Madam Chair,
21 members of the Board, Mr. Warner and Mr. Jeffress. Good
22 evening, ladies and gentlemen.

23 The last time we were here in Kinston, the
24 investigative team presented our preliminary findings on
25 the fire and explosion that occurred at West
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Pharmaceutical Services. For the most part, the
2 findings we presented earlier had to do with the
3 physical causes of the incident. Tonight we'll again
4 identify those causes, but we will go farther,
5 presenting more findings that became apparent over the
6 full course of our investigation. Specifically, we will
7 address the underlying causes, and finally and most
8 importantly, prevention.

9 From the outset, when we arrived here the
10 night of the explosion, the team's purpose was
11 prevention. We sought to identify how similar incidents
12 could be avoided here in North Carolina and elsewhere.

13 Here is how we plan to proceed this evening.
14 First of all, I will just introduce the team again and
15 acknowledge other agencies that responded to the
16 incident. Then I'll provide some background information
17 on the West Company itself. That will be followed by a
18 discussion of the manufacturing process that was in use
19 in the area where the explosion occurred, and the
20 materials that were in use. There will be some
21 explanation of pertinent design features of the building
22 itself, and I will invite questions of the Board.

23 Going forward from there, I will review the
24 incident and move on to our findings and analysis. The
25 material that exploded will be identified, and I'll

26
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 explain how it came to accumulate in the building.

2 This will be followed by a presentation of
3 several theories and what may have ignited it. We will
4 talk about important engineer issues pertaining to the
5 design of the building, particularly those related to
6 fire codes. Management system will be reviewed with an
7 explanation of how they failed to function effectively.
8 And that will lead to what the team has concluded are
9 the root and contributing causes of the incident.

10 That is quite a bit of ground to cover,
11 therefore I have to ask for some endurance on everyone's
12 part. May I proceed, Madam Chair?

13 MS. MERRITT: Yes, please, thank you.

14 MR. SELK: In addition to myself, the
15 investigative team consisted of Johnnie Banks, Jordan
16 Barab, Recommendations Manager; Angela Blair, Lisa Long,
17 Francisco Altamirano who is not with us here tonight,
18 and Steven Wallace is also not with us tonight.

19 We retained individuals from the private
20 sector. They were selected for their highly specialized
21 expertise. They were C. James Dauhn of Safety
22 Consulting Engineers. Jim's expertise is explosives and
23 explosions. He has a great deal of experience, in
24 particular with dust explosions.

25 Walter Frank of ABS Consulting also worked
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with us. Both Walt and Jim are members of a National
2 Fire Protection Association committee on dust explosion
3 hazards. Finally, Mark Whitely of the firm Analytical
4 and Computational Engineering helped us with
5 measurements of the buildings and mathematical modeling
6 of blast effects.

7 The team acknowledges the cooperation of
8 Lenoir County and Kinston Emergency Management Services,
9 consisting of firefighters, police officers, paramedics
10 and emergency managers. The United States Bureau of
11 Alcohol, Tobacco, Firearms and Explosives, also known as
12 ATF, the North Carolina State Bureau of Investigation,
13 The North Carolina Department of Labor, and the U.S.
14 Environmental Protection Agency. With regard the ATF,
15 our investigators worked with them in the early phase of
16 the investigation. None of us observed any damage
17 patterns that would be consistent with the use of
18 explosives, and the ATF ruled out potential criminal
19 activity.

20 A little bit about West itself. West is a
21 medium size company with 4,000 employees. Equity in the
22 company is publicly traded in the New York Stock
23 Exchange, and the firm conducts business
24 internationally. Annual sales have recently been on the
25 order of half a billion dollars. West does not make
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pharmaceutical drugs. It manufactures and sells drug
2 delivery devices.

3 West Kinston Plant manufactured small rubber
4 parts, such as syringe plungers, septums and seals for
5 drug vials. It had operated since 1975. There were
6 approximately 260 employees, and an additional staff of
7 contractors.

8 From a process perspective, the facility was
9 divided into two main sections; one for compounding and
10 one for molding. The explosion occurred in the
11 compounding section of the plant where rubber was
12 blended, rolled into strips and coated. This part of
13 the building and the manufacturing equipment involved
14 were added when the plant was expanded in the late
15 1980s.

16 Here is a photograph showing what the rubber
17 produced in the compounding area looked like. This is a
18 long strip of rubber that has been folded and stacked
19 for storage. The strip would later be converted into
20 small parts in the extrusion and molding section of the
21 plant.

22 Well the explosion occurred in the compounding
23 section that led to a fire that enveloped a large
24 portion of the facility including the warehouse where
25 the raw materials were stored and rubber strips such as
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this. In order to appreciate why the explosion
2 occurred, it's necessary to understand a bit about the
3 compounding process. This is a very simplified
4 conceptual diagram that depicts the process that was
5 used to compound the rubber and to form it into strips.
6 Ingredients were first loaded into a mixer. The
7 ingredients included rubber, pigments, curing agents,
8 fillers and solvent. There were actually two mixtures,
9 both located on the upper floor of the compounding
10 structure of the plant, and there were two production
11 lines. The ingredients would be blended in a mixer
12 until either a preset time lapsed or until a specified
13 temperature was reached. Then the rubber would be
14 discharged from the bottom of the mixer through a shoot
15 that led from the second floor to a bucket that was
16 located on the ground floor of the plant. The bucket
17 hung just below a ceiling. That ceiling is going to
18 figure importantly into why the accident happened. It
19 was comprised of acoustical tile hung ten feet above the
20 floor level. The bucket would transfer the rubber to a
21 rolling mill. The rollers of the mill cooled the rubber
22 and flattened it into a strip.

23 Just animate that, if you would, Angela, and
24 watch the rubber as it is rolled in the mill and cooled,
25 flatten into a strip, and then it goes into a machine
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 called a batch-off machine, at least that's what it's
2 known as in the industry. This machine here. As the
3 rubber strip moved through the batch-off machine, it
4 first passed through a dip tank. That is this yellow
5 tank in front of the machine. The tank was filled with
6 a water based suspension or slurry of coating agent.
7 From here on in tonight, I will refer to that coating as
8 the antitack agent.

9 There were two reasons for running the strip
10 through the dip tank. The first was to cool the rubber,
11 additional cooling, and the second was to coat it with
12 some of the antitack agent. That way, after the rubber
13 was folded and stacked, as you saw in the previous
14 picture, it wouldn't stick to itself. The powdered
15 antitack agent is going to figure predominately in the
16 accident.

17 One other detail about the batch-off machine
18 you should be aware of is that it was equipped with air
19 fans. After the strip leaves the dip tank, it was run
20 in front of the fans, and the air from those fans would
21 further cool the rubber, and also dry it. The fans were
22 integral to the machine itself, and the air blown by
23 them was discharged into the room.

24 Over the years, two different antitack agents
25 were used in the batch-off machines at the Kinston
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 plant. From 1987 until 1996, zinc stearate was used.
2 West purchased it as a water based paste from the
3 National Milling and Chemical Company. I will call them
4 NMCCO from here on in. West would add the water based
5 paste of zinc stearate to the dip tank, and the batch-off
6 machine, where it would be further diluted with water.
7 West wasn't the only company that used NMCCO's antitack
8 agent, zinc stearate and water was used elsewhere in the
9 rubber industry as well.

10 Let me pause for the moment and talk about
11 another issue, and that's Material Safety Data Sheets.
12 Regulations require all chemical manufacturers,
13 suppliers and distributors to provide Material Safety
14 Data Sheets for their products. Commonly referred to as
15 MSDS's these data sheets are supposed to describe the
16 basic hazards of the material. Customers are to use
17 Material Safety Data Sheets to understand the basic
18 hazards and importantly to convey that information to
19 workers.

20 When it is in a powdered form zinc stearate is
21 a combustible dust. Disbursed in the air in sufficient
22 quantity, it can explode. But zinc stearate in water is
23 not a combustible dust. Material Safety Data Sheet that
24 NMCCO provided to West did not include any combustible
25 dust warnings. The reason for that was it only
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 addressed the properties of the water based suspension
2 itself, and not the use of the product, which was to
3 create a powder coating. It wasn't as well prepare an
4 MSDS as it could have been.

5 As the years went by, West decided to replace
6 the zinc stearate as the antitack agent used at Kinston.
7 West wanted to switch to powdered polyethylene and they
8 chose a product called ACumist. At this time West was
9 already purchasing ACumist powder and applying it as a
10 coating on small parts at their St. Petersburg, Florida
11 plant.

12 So West asked a company called Crystal
13 Incorporated, PMC, to make a water based paste of
14 ACumist for them for use in the batch-off machines in
15 Kinston. In 1996 West began to use that ACumist paste
16 supplied by Crystal.

17 You will recall that earlier I mentioned that
18 the batch-off machine was equipped with air fans, and
19 the air fans were used to blow air across the rubber
20 strip. That was to dry the strip and cool it. Most of
21 the antitack agent would remain on the surface of the
22 rubber. However, a small portion of it was carried off
23 the surface and into the facility on air currents. The
24 dust would settle from the air on the surfaces in the
25 production area. But the Kinston plant employed a
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sizable cleaning staff. Cleaners worked around the
2 clock, vacuuming, wiping up dust, so that visible
3 accumulation was minimal. Because West manufactured
4 products for pharmaceutical use, they were quite
5 concerned about keeping the Kinston plant clean. and
6 keeping it clean was a high priority. Management
7 focused on the extent and effectiveness of housekeeping
8 working areas, and the effort was a matter of facility
9 pride. But some of the dusty air made its way above the
10 ceiling that overhung the ground floor in the
11 compounding part of the plant.

12 Again, that ceiling was a suspended design,
13 comprised of acoustical tiles. It would have looked
14 something like this, this photograph. This isn't an
15 actual picture of the ceiling at West. We couldn't get
16 one of those because the plant was so badly damaged,
17 there was little left in the compounding area, but it
18 would have looked like this. West installed this ceiling
19 primarily for aesthetic reasons, in other words, for a
20 appearance. But it also reduced noise levels in the
21 plant.

22 Something else that bears on why the accident
23 occurred has to do with the heating, ventilation and air
24 conditioning system. The HVAC system took air from the
25 room and would heat or cool it, depending on the season,
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and then return it to the room. But it also created a
2 slight negative pressure or vacuum above that suspended
3 ceiling. And I'll explain why that was the case.

4 For the most part, air was drawn through
5 grates installed in the ceiling, taking up through ducts
6 directly to the air handlers in the roof of the
7 building. However, a portion of air was taken through
8 some other ducts that ended above the ceiling and up to
9 the air handles. That is what created the slight
10 negative pressure or vacuum in the space above the
11 ceiling

12 Air would leak around the edges of the tiles
13 and grates, the light fixtures and make its way up into
14 that space. Once this dusty air was up there, the
15 environment was ideal for settling. That is what
16 happened. Dust settled from the air in the space above
17 the ceiling and it accumulated on top of the tiles, and
18 on top of other surfaces up there. Witness accounts
19 vary, but personnel who had been above the ceiling to
20 conduct maintenance activities prior to the explosion
21 reported an accumulation they estimated to be a quarter
22 to a half an inch of powder.

23 Madam Chair, and members of the Board, that is
24 the background information. Before I discuss the
25 incident itself, do you or the other Board members have
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 any questions?

2 MS. MERRITT: Are there any questions
3 from the members of the board. Mr. Bresland?

4 MR. BRESLAND: I have one question about
5 the change in the antitack coating, the change that was
6 made in, I believe in 1990s where they changed from zinc
7 stearate to ACumist powder polyethylene, can you expand
8 somewhat on that change? Was the company using the
9 ACumist, which is the polyethylene, in the time before
10 they made the change of the then contract with Crystal?
11 And also, were they aware of any potential hazards of
12 ACumist at that time?

13 MR. SELK: The company had used
14 ACumist on a smaller scale for different purposes than
15 coating rubber in the batch-off machine. And I will
16 discuss later further details. I can't tell you whether
17 or not they were aware of the hazard. It would appear
18 unlikely they were aware of the hazard. They did have
19 in their possession information from the manufacturer of
20 ACumist that provided warnings that it was a dust
21 explosive -- a dust hazard, a dust explosion hazard.

22 MR. BRESLAND: Was that material safety
23 data sheet that they had?

24 MR. SELK: Yes, they had a material
25 data safety sheet for ACumist, because they had used the
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 material for other purposes.

2 MR. BRESLAND: What did that material
3 data safety sheet say about the hazards of ACumist?

4 MR. SELK: Well, it warned that it
5 was a combustible dust, and it referred users to the
6 National Fire Protection Code. There were warnings
7 pertaining to static electricity and the use of material
8 with solvents, warnings to -- of good housekeeping
9 practices, that sort of thing.

10 MR. BRESLAND: Okay, thank you.

11 MS. MERRITT: Mr. Visscher.

12 MR. VISSCHER: Thank you. Thank you,
13 Steve. Did your investigator find a number of sources of
14 dust or was the polyethylene the principal type of dust
15 in the facility.

16 MR. SELK: West used many materials
17 that could be categorized as dust. The vast majority of
18 those materials were not combustible dusts. They were
19 used in the area of the plant called the kitchen. They
20 were conveyed to the mixers for use in the blending with
21 rubber. But on the lower level of the plant, this was
22 the only dusty material used in the compounding part of
23 the plant.

24 MS. MERRITT: Mr. Selk, could you go back
25 to slide number 11? Is that possible. I got a little
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bit lost here. If you could explain -- you used the
2 term West as a corporate entity I guess, but in one of
3 your statements you mentioned, at a St. Petersburg
4 facility. Could you tell me which West you are talking
5 about in each of these sentences?

6 MR. SELK: Sure, for the first
7 bullet, West in Kinston, although really, the work was
8 also -- the work was done at corporate, West Corporation
9 chose to replace zinc stearate with ACumist at the
10 corporate level, for use as the coating for large strips
11 of rubber in Kinston. West was already using ACumist or
12 had used it in the past to coat small parts at its St.
13 Petersburg, Florida facility. That is the second
14 bullet. Corporate office contracted eventually with
15 Crystal, Inc. PMC who was located nearby to Mineville,
16 is where West's corporate office is. Crystal is located
17 the Lansdale, Pennsylvania. West contracted with them
18 on a corporate level to make the paste. Then of course,
19 finally in 1996 use began here in Kinston.

20 MS. MERRITT: Could you tell me a little
21 bit about Crystal. Maybe you do this later on, but who
22 else did they have as customers? I mean, was this a
23 large organization?

24 MR. SELK: Crystal is a small
25 company, and to the best of our knowledge, this was the
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 only customer for this material. West was the only
2 customer for the ACumist based paste that Crystal made.

3 MS. MERRITT: So they would have been
4 familiar with how this product was going to be used?

5 MR. SELK: Crystal was familiar with
6 the use of the project, yes.

7 MS. MERRITT: Okay, Thank you. Are there
8 any other questions?

9 (No response.)

10 MS. MERRITT: Proceed please. Thank you.

11 MR. SELK: Let me tell you, members
12 of Board now, about the incident itself. At 1:28 in the
13 afternoon, a Kinston police officer on patrol about a
14 mile from West's plant saw smoke. At first he thought
15 it might be coming from the airport. He called in to
16 his dispatch to inquire if some kind of special activity
17 was ongoing at the airport. And then he saw what he
18 described as an explosion cloud. He estimated it rose
19 to a height of 400 feet. The blast from the explosion
20 broke windows at a school located three-quarters of a
21 mile from the plant, injuring one student. Outside the
22 plant itself, witnesses saw the siding blow off the
23 second story of the building where the compounding
24 section was located. They saw a rising fire ball.
25 Inside the plant workers heard a sound some described as
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 rolling thunder. a few observed a bright flash. Some
2 were knocked off their feet by the pressure wave.
3 concrete masonry walls, particularly those that flanked
4 the lower level of the compounding section blew down or
5 collapsed. Those that could, made their way from the
6 darkened building, while others located flashlights and
7 began searching for the injured to help them get out.
8 Army reservists from a quartermaster battalion who were
9 stationed next door in the same business park, told me
10 that they responded and entered the damaged building
11 within three minutes, helping several individuals to
12 escape. Fire, police, and emergency response personnel
13 began arriving as well, assisting others with egress,
14 stabilizing the injured and transporting them to
15 hospitals.

16 Fires were still in the early stage of
17 development at this point. Some individuals clung to
18 the exposed frame of the building until they could be
19 rescued by firefighters using ladders. Helicopters were
20 used to transfer to most seriously injured. The
21 explosion broke water lines that supplied the fire
22 sprinkler system, disabling it. Consequently, as time
23 went by, a large fire developed, particularly, in the
24 raw material warehouse, and this slide here shows the
25 extent of damage that occurred there. The fire was so
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 intense the steel has become ductile and has sagged
2 under its own weight. So you have really complete
3 structural collapse. Four plastic tanks used to store
4 combustible mineral oil, an ingredient West used to
5 soften rubber, failed and spilled their contents. These
6 added much more fuel to the fire, which once fully
7 developed, burned for two days. A large portion of the
8 facility was destroyed.

9 When it was all over six individuals would
10 die. Thirty-eight other were injured, some seriously.
11 In addition to these, the most tragic human costs, the
12 West facility was rendered unusable and employment was
13 interrupted. The community of Kinston would then suffer
14 adverse economic impact.

15 Turning to the team's analysis of the
16 incident, we have concluded that the explosion was in
17 fact a dust explosion. The fuel was the finely powder
18 antitack agent used in the batch-off machine to coat the
19 strips of rubber. We considered the possibility that
20 natural gas could have been involved. Gas was used to
21 fire boilers in the plant, but the natural gas lines in
22 the facility did not run anywhere near the compounding
23 area. In fact the gas lines passed a part of the plant
24 that was among the least damaged. That ruled natural
25 gas out. Propane bottles were used on fork lift trucks
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 throughout the plant, but those were small containers.
2 No one reported a problem with any of the fork lift
3 trucks, and even had there been one, the team knows that
4 a small tank of propane could not produce an explosion
5 like this. Propane was ruled out as well.

6 Small portions of solvent and water were used
7 for wiping surfaces in the plant, but it was dispensed
8 from small containers. Like the propane, that couldn't
9 cause an explosion like this. there was simply nothing
10 else present on the lower level of the compounding
11 section of the plant capable of producing a large
12 explosion except for the dust above the ceiling. My
13 colleagues and I have no doubt what the fuel was. It
14 was the powdered antitack agent. During the field
15 investigation we took samples of the ACumist slurry
16 directly from the dip tank of the batch-off machine. We
17 dried the material to a powder and brought some of it
18 with us to Kinston at the time we presented our
19 preliminary findings. We ignited it in a test chamber
20 here on the stage, demonstrating it's explosive
21 potential. We won't do that again tonight. However Jim
22 Dauhn, our explosive expert has devised a simple
23 demonstration of just how explosive this dust can be.
24 We have a video of Jim's experiment that we will show
25 you in a moment. But before we do so, let me tell you a
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit about ACumist. The powder used at West had a
2 normal particle size of only 10 to 13 microns. That's a
3 consistently similar to talcum powder, and that's a
4 primary reason that it was as explosive as it was.
5 Another property of the material that is of interest is
6 that it has a minimum of ignition energy of
7 approximately 15 millijewels. To, put that in
8 perspective, 15 millijewel spark is about as energetic
9 as the spark one might receive when walking across a
10 carpet on a winter day and touching a door knob. That
11 is not much energy. Finally, our testing of the ACumist
12 powder determined it to have what we call a K St value
13 or deflagration index of 140 bar meter per second. What
14 this number is, it's a number that's derived from
15 testing the standard test chamber. And it is the
16 maximum rate of pressure rise that occurs in the test
17 chamber corrected for volume of the test chamber. It is
18 a somewhat arbitrary measure, but it is a measure of the
19 severity of explosion that a particular dust can
20 produce. A value of 140 that we got for this particular
21 material, puts in the same general range as grain dust
22 or flour.

23 Let's take a look at the video of the
24 experiment Jim Dauhn conducted for us. Jim has spread
25 just a few grams of ACumist powder on a table, and a
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 wooden match has been taped to one end of the table. Jim
2 is going to sit down at the other end and is going to
3 blow the dust towards the flame on the match with a puff
4 of air. Keep in mind that this is experiment is being
5 conducted by an eminent explosive expert. It is not the
6 type of experiment that someone should conduct if they
7 are not an expert. Let's watch what happens.

8 Jim's assistant's going to walk in here now,
9 he is going to ignite the match. Here is the match
10 being ignited right there. Jim is going to sit down at
11 the end of the table and blow the dust toward the flame.

12 Madam Chair and members of the board, the
13 flash you just observed resulted from just a few grams
14 of powder. One can imagine the explosion that could
15 result from a ton of this powder. Earlier it was
16 mentioned that witnesses estimated that there was
17 anywhere from a quarter to a half an inch of powder
18 above the ceiling. No one knows exactly how much was up
19 there. If for example the average thickness was
20 three-eighths of an inch, and it was entirely ACumist,
21 there could have been roughly a ton of dust above the
22 ceiling in the compounding section of West Plant. To use
23 a colloquial phrase, it was a sleeping giant, growing
24 larger, about to be awakened.

25 Many folks are familiar with the fire
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 triangle. It is something they are exposed to in
2 school. The sides of the fire triangle represent the
3 three elements necessary to have fire or explosion.
4 Fuel is necessary, an ignition source, and an oxidizer
5 which is often air. Dust explosions are more complex
6 than that. They involve two further elements. These
7 are sometimes described by a pentagon. The first
8 element is fuel, the fuel itself. And our National Fire
9 Codes define a combustible dust as any materials 420
10 microns or less in diameter that represents a fire
11 explosion hazard. Well 420 microns is about four times
12 the thickness of a human hair. That's the largest size
13 particle that's going to be explosive. Anything larger
14 than that isn't classified as an explosive dust.

15 Of course an ignition source is required. I
16 mentioned earlier that in the case of ACumist, not much
17 energy is required to ignite it. The next element is an
18 oxidizer which will almost always be air. It was in
19 this case. the two further elements are dispersion and
20 confinement. The classic theory of dust exposures
21 requires that the dust be dispersed into a cloud before
22 it is ignitable. It needs to be quite a dense cloud.
23 The final requirement is confinement. Without
24 confinement, there could be a flash which you saw a
25 moment ago in the video, but when there is confinement,
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 enough confinement, the pressure is going to rise and
2 something is going to blow. If you have enough dust in
3 a building, that is confinement and the building will
4 explode which is precisely what happened at West.

5 The National Fire Codes warn that it takes
6 only one-thirty-second of an inch of settled dust on a
7 floor of a room to lead to a dust explosion. Moreover,
8 the code explains that the accumulation doesn't even
9 have to cover the entire floor area, just a portion of
10 it. In West Kinston plant, the amount of accumulated
11 dust on top of the ceiling tiles was far greater than
12 the level warned about in the National Fire Codes.
13 one-thirty-second of an inch is less than the thickness
14 of a dime. Okay. Again, witness estimates were that
15 there was a quarter to a half an inch of powder up
16 there. Far greater than the amount warned about in the
17 National Fire Codes, in fact, 16 times as much, eight to
18 16 times as much.

19 There is other evidence that leads to the
20 conclusion that this was a dust explosion involving
21 powder that had settled on the top of the tiles, and
22 that's the analysis of the physical damage patterns to
23 the building itself. The investigative team determined
24 that the location in the plant where the blast forces
25 were greatest, and that was near rolling mill number
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one. We know this because blast damage was at its
2 maximum in that area, and it radiated outward in a 360
3 degree pattern. The batch-off machine itself was
4 displaced out in this direction here. That is the
5 batch-off machine, and it's pushed out this way. There
6 was a tour hallway that ran along here beside the
7 kitchen. And that hallway, masonry blocks that the
8 hallway was constructed from were blown into the
9 kitchen. So we have now 180 degree blast damage going
10 toward the kitchen and going toward the batch-off
11 machine.

12 Further more, there was an elevator shaft
13 located here in the stairwell, and the masonry for that
14 was all blown toward the raw material warehouse. Okay,
15 so you get the -- what I'm describing as 360 degree
16 blast damage from this area. Looking at a rendering of
17 the facility, the blast location is on the lower level.
18 It didn't occur in the upper level.

19 We can be certain, certain it was on the lower
20 level because the concrete second floor was heaved
21 upward. This photograph here shows a small section of
22 that concrete floor for the second level. See how it is
23 pushed upward. That type of uplift is a direct result
24 of blast forces from below. Moreover, other evidence
25 places the explosion not just on the lower level, but
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 above the ceiling on that level. We observed florescent
2 light fixture which were flatten by forces applied from
3 above. And the burn patterns on ceiling tiles we
4 recovered in the woods, was almost exclusively to the
5 top face. These both indicate that the explosion
6 occurred above the tiles.

7 So we know the explosion occurred on the lower
8 level, and we know it was above the ceiling. and we
9 know it reached its greatest magnitude near mill number
10 one. All of this serves to confirm it was the dust
11 settled on top of the ceiling tiles that fueled the
12 blast. But while we know where the blast developed its
13 greatest magnitude, we can't be certain where the dust
14 was first ignited. The reason for this has partly to do
15 with the complex dynamics of dust explosions. Dust
16 explosions are not always a single event, although they
17 can be. frequently they are sequential events closely
18 secondary in time. The sequential events are known as
19 secondary dust explosions. They occur when some
20 initial event, which might itself be a small dust
21 explosion disperses dust that is resting on a surface
22 into the air. That resulting dispersion is then ignited
23 by the advancing flame front from the initial event. It
24 is also possible for this to occur -- for the phenomenon
25 to occur continuously as one continuous event. But
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 whatever, the important point is that its turbulence,
2 it's kicking up more dust, that's being ignited by an
3 advancing flame front.

4 It goes something like this. Here is a
5 surface and dust get settled on the surface, and then
6 something kicks it up, which could be a small explosion.
7 Gets it into the air, and then there is a secondary
8 explosion, which is typically much larger. And it can
9 profugate onward after that. Because of this, it be can
10 be difficult to precisely reconstruct dust explosions.
11 That's the case in this instance. We can't be certain
12 what initially dispersed the dust, but yet the team is
13 prepared to put forward some possibilities. The
14 following are potential initiating events that we have
15 considered.

16 The first of these is that a batch of rubber
17 may have become overheated. One witness stated that he
18 observed a batch of rubber that had been produced to
19 mill number one just prior to the explosion, appeared
20 unusually hot. If overheated, rubber can decompose and
21 release flammable gases that are ignitable. In fact,
22 batches of rubber had ignited in the drop bucket at the
23 West plant on several occasions over the years. The
24 drop bucket was mounted close to the suspended ceiling.
25 The workers report that sizable static discharges could
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 occur from time to time in the mill area. If something
2 had caused the temperature control to fail in one of
3 these mixers, the rubber may have become overheated. It
4 could decompose and the vapors released could be ignited
5 by static discharge. Now only one witness described the
6 batch of rubber produced before the explosion as
7 appearing unusually hot. And we couldn't examine that
8 batch because it was consumed in the fire. Other
9 workers who were in the same area did not survive the
10 incident. So we have no other witness information one
11 way or the other as to whether vapors from the rubber
12 actually did ignite.

13 West's own investigation postulates that a
14 worn coupling in a cooling air duct that ran above the
15 ceiling allowed dust to enter and accumulate in that
16 duct. This particular duct provided cooling air to an
17 electric motor. West's team concludes that the dust in
18 the duct suddenly became unsettled and entered the motor
19 and that it ignited. That in turn led to a small
20 explosion in the duct that spawned the larger explosion.

21 Another possibility is a failure of an
22 electric ballast from a lighting fixture. Florescent
23 lights were install in the suspended ceiling. Each
24 light fixture was equipped with a starting ballast.
25 References in the scientific literature describe how
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 overheated ballasts can explode. The lighting fixture
2 in the West plant compounding area would have been
3 covered with a layer, a very thick layer of dust, and
4 that would have impeded heat flow from the fixtures. It
5 is possible that failure of one of these ballasts in
6 contact with the accumulated dust was the source of
7 ignition. This remains only a possibility. But I would
8 point out that the National Electric Code already
9 stipulates that combustible materials shall not be
10 allowed to contact the starting ballasts, because they
11 are known to be potential ignition sources.

12 Finally it's possible that another type of
13 electric fault could have ignited the dust above the
14 ceiling. Further leading to dispersion, which in turn
15 led to the propagating explosion or the big explosion.
16 While we did not identify any electrical components
17 above the ceiling that would produce arcs during normal
18 operation, there were electrical lines, fixtures and
19 junction boxes up there. The National Electric Code
20 warns that fittings and boxes in areas where there is
21 combustible dust should be dust tight. The fittings,
22 junction boxes, and fixtures at West plant were general
23 purpose, not dust tight. It is possible that a short in
24 one of these components ignited some dust and the event
25 grew from there.

26
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Madam Chair, that is all for the incident
2 itself. Do you have any, or the board members, any
3 other questions?

4 MS. MERRITT: Are there any questions
5 from the board. Mr. Visscher? No. Mr. Bresland? No.
6 Thank you, very much.

7 MR. SELK: Let me now turn to the
8 underlying causes of the event. simply put, West
9 Kinston facility was not engineered with combustible
10 dust in mind. The National Fire Codes describe
11 construction and process details that should be followed
12 when designing facilities where combustible dusts are
13 produced or used, and these were not followed. In
14 particular, National Fire Code Standard 654, titled
15 prevention of fire and dust explosions from the
16 manufacturing, processing, and handling of combustible
17 particulate solids represents the accumulated technical
18 knowledge base for protection of the built
19 infrastructure from dust explosions. The standard
20 states: Systems that handle combustible particulate
21 solids shall be designed by and installed under the
22 supervision of qualified engineers who are knowledgeable
23 of the systems and their associated hazards.

24 While the standard is of primary use to
25 engineers and architects. It contains operational
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 guidance. Versions of the standard and its predecessors
2 have existed for decades. Examples of provisions in the
3 standard include: spaces inaccessible to housekeeping
4 shall be sealed to prevent dust accumulation.
5 penetrations of floors, walls, ceiling and partitions,
6 shall be dust tight.

7 Areas where hazardous quantities of dust
8 accumulates shall be electrically classified per the
9 National Electric Code. And employees shall be given
10 training and given refresher training.

11 Madam Chair, members of the Board, it cannot
12 be said that these provisions were provided for at West
13 Kinston plant. And a further look into the company's
14 systems and other circumstances leads to some insights
15 as to why not.

16 Let me now address product warnings. Again,
17 as I mentioned earlier, manufacturers of chemicals are
18 required to furnish their customers with Material Safety
19 Data Sheets. these data sheets are a source of basic
20 information on the hazards of the product. They are
21 supposed to include fire and explosion hazards,
22 firefighting measures, toxicity information, and other
23 precautionary matters. The 1998 material safety data
24 sheet issued by the manufacturer of ACumist and provided
25 to West included warning on combustible dust hazards.

26
NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In 1990 the manufacturer released the new version of the
2 data sheet. This revision advised users to refer to
3 National Fire Protection Association Standard 654. West
4 had this data sheet, but they never consulted NFPA 654.

5 In 2000 the manufacturer again released
6 another this version of the data sheet, this time type
7 setting improvements gave increased emphasis to the
8 combustible dust warning.

9 I will explain some reasons why West missed
10 these. West had a management system identified -- a
11 management system that was directed at identifying the
12 hazardous properties of new materials. New materials
13 that they were considering using in their business. And
14 that's a good thing for them to have had. They called
15 it the new material review. It focused primarily on
16 food and drug administration issues, but also waste
17 disposal and toxicity. It doesn't seem to have been as
18 comprehensive as it could have been and here's what
19 happened.

20 West first planned to use ACumist in a small
21 scale application in St. Petersburg, Florida to coat
22 small parts. The new material review committee studied
23 documents pertaining to ACumist, but they didn't pick up
24 on the combustible dust warning, even though they were
25 there in the data sheet. It turned out to be
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 inconsequential, because the use was on a very small
2 scale. But later on West decided to use ACumist on a
3 larger scale, to coat the big rubber strips that were
4 being produced from a batch offs at the Kinston plant.

5 Corporate reviewers at the company's head
6 office again considered the material. This time they
7 didn't re-review the data sheet for ACumist itself, even
8 though they had it. Documents indicate that the
9 reviewers only considered the material safety data sheet
10 for the water based paste that was supplied to them by
11 Crystal. And Crystal's MSDS didn't include any
12 combustible dust warnings, okay. That is a contributing
13 factor why West missed this.

14 So while West was in possession of the
15 Material Safety Data Sheets for ACumist that advised
16 users to refer to National Fire Protection Code, they
17 didn't use those MSDS's and it didn't get done. This
18 isn't the first time that a business has failed to
19 recognize a hazard, particularly a chemical hazard.
20 That is one one reason the government sets standards and
21 regulations pertaining to the use of certain classes of
22 chemicals and materials. It's part of the system of
23 safety that protects workers and the public.

24 In the face of a mounting number of fatal dust
25 explosions in grain elevators, OSHA promulgated a
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 standard for grain handling facilities in 1987. And the
2 Mine Safety and Health Administration has standards for
3 coal dust in mines. There is currently no specific
4 federal standard addressing combustible dust hazards in
5 industry. One federal standard that does apply to some
6 extent to the incident at West Kinston plant, is the
7 OSHA HazCom Standard, Hazard Communication requires
8 employers to convey the hazards of materials used in the
9 workplace to the work force. The MSDS for ACumist did
10 include combustible dust warnings. West had it in their
11 possession, both in the corporate office and at Kinston,
12 but the information was not communicated to the work
13 force.

14 One lesson then, in this incident, one lesson,
15 is that MSDS's are important. Care should go into their
16 preparation, and all companies should take them
17 seriously and if necessary, look beyond the MSDS to
18 appropriate reference information.

19 Now a most important regulatory system that
20 does specifically address hazards of dust explosions are
21 fire codes. Fire codes are usually adopted at the state
22 or local level. And generally they have the force of
23 law. There are two fire codes in use in this country.
24 The National Fire Codes and the International Fire Code.
25 Now, the National Fire Codes contain extensive treatment
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of dust hazards. They set out in clear directive
2 language preventative measures industry should take to
3 prevent dust explosions.

4 On the other hand, the International Fire Code
5 or the International Code Council, the publishers of the
6 International Fire Code chose for the most part not to
7 write their own measures for preventing dust explosions.
8 Instead, they recognize the validity of the information
9 that was already in the National Fire Codes. So what
10 the International Fire Code does with respect to dust,
11 is it refers to the National Fire Codes. In fact, the
12 International Fire Code only has one page on dust
13 hazards, one page. Whereas the National Fire Codes have
14 about 55 pages.

15 Another issue related to the International
16 Fire Code is instead of stipulating clearly the measures
17 industry should take, the International Code leaves it
18 to the judgment of the local fire official what elements
19 of the National Fire Codes industry will have to take as
20 precautionary measures. So it's up to the local code
21 official, that could be firefighters, the fire marshall
22 or the fire inspector to decide what industry is going
23 to have to do.

24 One thing that concerns us, Madam Chair and
25 members of the Board is we are not sure local officials
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are well positioned to that. North Carolina had not yet
2 adopted a fire code when West's Kinston facility was
3 built. But it does have one today. In 2002 North
4 Carolina adopted the International Fire Code. But do
5 counties and small cities really have resources to
6 advise industry on what protective measures industry
7 needs to take? And the way the International Fire Code
8 is written, in effect, that is the case. The
9 preventative provisions that are in the National Fire
10 Codes, appear to be an option for industry, not a
11 requirement, where as in many other states, the National
12 Fire Codes have been adopted and provisions there are
13 there in, must be taken by industry.

14 The team believes that in order to prevent
15 further incidents, all industries should want to, and be
16 required to use the measures that are in the National
17 Fire Codes.

18 I shall now read the root and contributing
19 causes of the accident.

20 The first root cause is that West
21 Pharmaceutical Services did not perform an adequate
22 engineering assessment of use of powder zinc stearate
23 and polyethylene antitack agents in the rubber batch-off
24 process.

25 The second root cause: The company's
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering management systems did not ensure that
2 relevant industrial safety standards were consulted.

3 The third root cause: The company's
4 management systems for reviewing Material Safety Data
5 Sheets did not identify combustible dust hazards.

6 And finally, the hazard communication program
7 at the Kinston facility did not identify combustible
8 dust hazards or make the work force aware of such.

9 We also conclude that there was one
10 contributing cause. That is that the material safety
11 data sheet for the polyethylene paste developed by
12 Crystal Incorporated, PMC, did not warn that the product
13 was a combustible dust when dry.

14 Madam Chair, members of the Board, the
15 justification for the recommendations we are about to
16 make tonight are the facts of the case in front of us.
17 But it should be noted that there is a history of other
18 dust explosions in this country. The following is a
19 list of major dust explosions that have occurred in the
20 United States in the last five years.

21 In 1999 plastic resin dust exploded at the
22 Jaun Foundry in Springfield, Massachusetts. Three were
23 killed and 12 others injured. The very same year, a
24 massive dust -- coal dust explosion, massive, occurred
25 in a power plant at the Ford Motor Company in River
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rouge Plant in Dearborn, Michigan. Six were killed, 14
2 others injured. In 2002, a tire rubber dust explosion
3 occurred in Rouse Polymerics, Vicksburg, Mississippi,
4 five were killed and seven injured.

5 I mentioned before, Madam Chair, just after the
6 explosion in Kinston, plastic resin dust exploded at CTA
7 Acoustics in Corbin, Kentucky. Seven were killed, 42
8 injured. CSB's investigating. And then finally, again
9 last year, there was an aluminum dust explosion in Hayes
10 Lemmerz, an automobile wheel manufacturing plant in
11 Huntington, Indiana. One fellow was killed and two
12 others injured.

13 Madam Chair, members of the Board, the
14 knowledge of how to prevent dust explosions has existed
15 for decades. For the most part, it involves keeping the
16 dust from speeding around, keeping it from accumulating
17 and using inappropriate electrical equipment. Yet the
18 investigative team is concerned that the danger posed by
19 accumulated dust is not as well known as it should be.
20 Action is needed if we are to be faithful to those that
21 lost their lives in this incident and in previous
22 incidents. Therefore, the team brings specific
23 recommendations which we hope will prevent a similar
24 incident from happening here in North Carolina again.

25 Mr. Jordan Barab, the recommendations manager
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for the team will now present our recommendations for
2 preventing future incidents.

3 MR. BARAB: Thank you. Madam
4 Chairman, members of the Board, Mr. Jeffress and Mr.
5 Warner, I will present the staff recommendations:

6 Safety recommendations are the primary tool
7 used by the Chemical Safety Board to motivate
8 implementation of safety improvements, and to prevent
9 similar future incidents that could endanger lives,
10 communities and the environment.

11 CSB'S recommendations may be directed to
12 businesses, trade associations, government entities,
13 safety organizations or labor unions.

14 The CSB's independent accident investigation
15 process identifies trends or issues that may other wise
16 be overlooked. The CSB's recommendations seek not only
17 to address specific issues that caused the incident to
18 occur, but also to identify needed changes in the
19 management systems that could have prevented not only
20 this specific incident, but other incidents as well.

21 In developing these recommendations, we
22 researched the issues, consulted with experts familiar
23 with combustible dust hazards, and industry best
24 practices. We held a public meeting here in Kinston
25 where we presented preliminary findings and listened to
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the comments from members of the public and employees
2 who were affected by this incident. In addition to
3 participating in the development of the Board
4 recommendations, the CSB recommendations staff will
5 communicate these recommendations to the recipients and
6 work with the recipients as well as other interested
7 parties to help insure the successful adoption of Board
8 recommendations. Board recommendations were issued and
9 closed only by a vote of the Board

10 I will now read and explain and the
11 recommendations. The first recommendation goes to West
12 Pharmaceutical Services, Incorporated, which owns the
13 West Kinston facility. As I stated earlier the CSB's
14 recommendations seek not only to address specific issues
15 that caused this incident, but also to identify needed
16 changes in the management systems that would have
17 prevented this incident as well as other incidents.

18 Before new materials are introduced into a
19 manufacturing process in the work place, it's good
20 practice to review them for hazards and potential safety
21 issues. Reviews of this type typically consider the
22 information contained in the Material Safety Data
23 Sheets, and more comprehensive scientific and technical
24 information.

25 The CSB found that West had done a preliminary
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 new material safety review for ACumist when the powder
2 was first introduced for use in 1990 in a different
3 process, and that West had in its possession Material
4 Safety Data Sheets that identified the combustible
5 hazards of ACumist dust. West's review of the material
6 did not identify the combustible dust hazards associated
7 with the process, either when it was first reviewed in
8 1990 or when its use was introduced into the batch-off
9 as an antitack agent in 1996.

10 We are therefore making the following
11 recommendations to West Pharmaceutical Services,
12 Incorporated: Revise policies and procedures for new
13 material safety review. In particular, use the most
14 recent versions of Material Safety Data Sheets and other
15 technical hazard information.

16 Fully identify the hazardous characteristics
17 of new materials including the relevant, physical and
18 chemical properties to ensure that these characteristics
19 are incorporated into safety practices as appropriate.

20 Include an engineering element that identifies
21 and addresses the potential safety implications of new
22 materials on the manufacturing processes.

23 The next recommendation to West address the
24 safety reviews of engineering projects. The CSB
25 investigation of this incident found that West managers
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had relied on engineering design firms they hire to
2 ensure that work met all applicable codes and standards,
3 although only West is in a position to fully understand
4 the materials, their use, and their potential hazards.
5 Our investigation found no evidence that West engineers
6 had the expertise to determine whether applicable codes
7 were met or that they were involved in reviewing with
8 their contractors potential hazards posed by the
9 replacement of powdered polyethylene for zinc stearate.

10 The goal of the following recommendation is to
11 ensure the use of comprehensive engineering reviews that
12 include formal project safety reviews when introducing
13 new processes. We are therefore making the following
14 recommendations for West Pharmaceutical Services
15 Incorporated: Develop and implement policies and
16 procedures for safety reviews and engineering projects.
17 In particular, address the hazards of individual
18 materials and equipment and their affect on the entire
19 processes and facilities. Consider hazards during the
20 conceptual design phase as well as during the
21 engineering and construction phases. Cover all phases
22 of the project, including engineering and construction
23 performed by outside firms. Identify and consider
24 applicable codes and standards in the design.

25 As the investigation indicated, the National
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Fire Protection Code 654 effectively addressed the
2 hazards of combustible dust at the time the compounding
3 process was designed. The CSB's investigation found no
4 evidence that this code had been consulted or followed
5 by West. In order to ensure that West consults and
6 follows appropriate guidance contained in NFPA 654 in
7 the future, we are making the following recommendations
8 to West Pharmaceutical Services. I shall read the
9 recommendation.

10 Identify West manufacturing facilities that
11 use combustible dusts, ensure that they incorporate
12 applicable safety precautions described in NFPA 654
13 standard for the prevent of fire and dust explosions
14 from the manufacturing, processing, and handling of
15 combustible particulate solids. In particular, ensure
16 that penetrations of partitions, floors, walls, and
17 ceilings are sealed dust tight. Ensure that spaces
18 inaccessible to housekeeping are sealed in order to
19 prevent accumulation.

20 The fourth recommendation to West
21 Pharmaceutical Services addresses their hazard
22 communication program. The purpose of a hazard
23 communication program is to effectively communicate
24 through training, labeling, and access to Material
25 Safety Data Sheets, information on hazards that workers
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 need to know in order to perform the job safely. The
2 CSB found through our research and interviews with
3 workers, that although the Kinston plant was in
4 possession of the 1990 MSDS for ACumist that described
5 the combustible dust hazard of polyethylene dust,
6 workers revealed that their training had not made them
7 aware of combustible dust hazards. Had workers been
8 more fully trained, they would have been more likely to
9 raise concerns about the accumulation of potentially
10 combustible dust above the drop ceiling.

11 We are therefore recommending that West
12 Pharmaceutical Services improve hazard communications
13 programs so that the hazards of combustible dust are
14 clearly identified and communicated to the work force.
15 In particular, ensure that the most current Material
16 Safety Data Sheets are in use, and that employees
17 receive training on the revised and undated information.

18 Finally, it is important that the entire work
19 force at West Pharmaceutical Services be familiar with
20 the root causes of this incident and the recommendations
21 that we are making. We are therefore recommending that
22 West Pharmaceutical Services Incorporated, communicate
23 the findings and recommendations of this report to the
24 West Pharmaceutical Services work force.

25 Our next recommendation goes to the North
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Carolina Department of Labor, Occupational Safety and
2 Health Division. our investigation found indications
3 that the awareness of combustible dust hazards is
4 generally not high in industry. The North Carolina
5 Department of Labor has developed an educational
6 pamphlet on the hazards of combustible dust. We believe
7 that an outreach program, based on the information in
8 that pamphlet and on the findings of this report, would
9 raise the consciousness of combustible dust hazards in
10 the state of North Carolina.

11 We are making the following recommendation to
12 the North Carolina Department of Labor, Occupational
13 Safety and Health Division: Identify the manufacturing
14 industries at risk of combustible dust explosions and
15 develop and conduct an outreach program on combustible
16 dust hazards.

17 The next recommendation goes to the North
18 Carolina Building Code Council. As the report
19 indicated, Chapter 13 of the International Fire Code,
20 which was adopted by the state of North Carolina in
21 2002, leaves to the discretion of local code officials
22 to determine whether or not to enforce NFPA 654. We are
23 therefor recommending to the North Carolina Building
24 Code Council that it amend Chapter 13, section 1304, of
25 the International Fire Code as adopted by the North
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Carolina Fire Code, to make compliance with NFPA 654
2 mandatory.

3 A further issue identified by the Board's
4 investigation into this incident is limited level of
5 awareness of combustible dust hazards among North
6 Carolina Fire Inspectors. We are therefore recommending
7 that the North Carolina Code Officials Qualification
8 Board which determines the training curriculum for North
9 Carolina Fire Inspection Code Officials, incorporate
10 training in the provisions of NFPA 654 into the training
11 program for state and local building and fire code
12 officials.

13 Our final recommendation goes to Crystal
14 Incorporated PMC. As the report indicated, Crystal was
15 contracted by West to formulate the slurry containing
16 the polyethylene powder. The MSDS prepared by Crystal
17 did not, however, identify the combustible dust hazard,
18 presented by the components of the slurry after they
19 dried. We are therefore making the following
20 recommendation to Crystal: Modify the Material Safety
21 Data Sheet for manufactured polyethylene antitack agents
22 to include hazards posed by the end use of the product.

23 Madam Chairman, Board members, this concludes
24 my presentation. I'll be glad to take any questions.

25 MS. MERRITT: Thank you. Thank you, Mr.

26 **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Selk also. I now open to the Board, are there any
2 questions from the Board? Board Member Visscher.

3 MR. VISSCHER: Thank you, Madam Chairman.
4 Just a question, I guess to Mr. Selk. You mentioned a
5 couple of times that there was at least some awareness
6 by employees of dust accumulation above the ceiling.
7 Was that kind of widespread knowledge? Was there -- to
8 what extent was that awareness of the dust in your
9 investigation, showed that?

10 MR. SELK: I don't think it would be
11 fair to say that the knowledge was widespread. Among
12 those workers who had occasion to go above the ceiling
13 to conduct maintenance, they were aware that the powder
14 was there. Those that conducted cleaning operations of
15 the lower surfaces of the ceiling were aware that there
16 was some dust up there. And I think maybe certain
17 components of the management team, members of the
18 management team were aware that there was dust up there.
19 They may not have been aware of what it exactly was.
20 But the only dust used in the lower level of the plant
21 was the batch-off antitack agent.

22 MS. MERRITT: Board Member Bresland.

23 MR. BRESLAND: This is a question, it is
24 not for Mr. Barab, but it is about recommendation number
25 4, which recommends that West Pharmaceutical improve
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hazard communication programs about combustible dust to
2 the work force. Can you talk to us about the sort of
3 training that the employees did received on the hazards
4 of combustible dust over the last period of time?

5 MR. SELK: The team members and I
6 have not seen any documentation to indicate that workers
7 received training on combustible dust hazards. And
8 furthermore, the interviews we conducted with workers
9 were pretty clear that the workers were not cognizant of
10 combustible dust hazards, so we don't think that that
11 was an element of their training.

12 MR. BRESLAND: For example, if you were
13 to stop a typical worker of the facility who was working
14 around the batch-off area, working with the ACumist
15 material, and asked them how hazardous is this material,
16 or does this material have any particular hazard, would
17 you think they would have been aware of those hazards.

18 MR. SELK: No, no, I dont. We
19 interviewed workers. And they were not cognizant of the
20 hazards.

21 MR. BRESLAND: Still talking about
22 combustible dust hazards, what sort of expertise did you
23 find out that the West company had in the area of the
24 hazards of combustible dust?

25 MR. SELK: I don't think the West
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 company did have the expertise. They could have
2 obtained that expertise had they referred to fire codes.
3 But we don't think that West understood the hazard
4 themselves. it's only logical to think that had they
5 understood the hazard, they would have cleaned up there.
6 They ran a very clean plant. So I can not logically
7 conclude and my colleagues can not logically conclude
8 that they understood the combustible dust hazards. And
9 I think that's our big concern on the team, is that this
10 is a hazard that is not as well understood in some
11 industrial sectors as it needs to be.

12 MR. BRESLAND: Where would you expect
13 them to get that technical knowledge, technical
14 expertise, knowledge about the hazards of the material?

15 MR. SELK: Well, it's not something
16 that they are going to come by without specialized
17 training. And we have pointed out that we think a root
18 cause of this event was the fact that West did not refer
19 to fire codes and the National Fire Code does provide
20 the knowledge of why the problem exists and how to deal
21 with it. So there management systems need to be more
22 directed towards discovering the codes and standards and
23 using them. The engineering curriculum doesn't include
24 this type of knowledge. It is only out in the workplace
25 that we can lean about it through codes and standards.
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BRESLAND: As you discussed
2 earlier, one source of knowledge is the Material Safety
3 Data Sheet then?

4 MR. SELK: Sure, and I think I
5 mentioned that paying attention to the Material Safety
6 Data Sheets is important, and going beyond the Material
7 Safety Data Sheet. In this instance, the Material
8 Safety Data Sheet for ACumist referred the user to NFPA
9 654. It said go look into this.

10 MR. BRESLAND: Just out of
11 curiosity, I think it was yesterday or the day before --
12 it was yesterday, before I came down here I was reading
13 a report, I got on my computer and I typed into Google,
14 Material Safety Data Sheet for ACumist, and up it
15 popped, it was there, 2000 version, which states exactly
16 what you stated about the high levels of dust -- product
17 dust in the atmosphere may present a dust explosion. So
18 it appears to be relatively accessible.

19 MR. SELK: I think Material Safety
20 Data Sheets today are more accessible than they've ever
21 been, given that we have access to the internet.

22 MS. MERRITT: Board Member Visscher, do
23 you have a question.

24 I have a question. We spent a lot of time
25 talking about the dust hazard, but we really were not
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to identify a source of ignition. Could you
2 explain to me why we did not find an ignition source?

3 MR. SELK: This isn't the first time
4 this issue has come up. It is not there any more. It
5 is gone. So it is not there to be found. It can only
6 be inferred from the evidence that is left over. If it
7 was a static spark, it is not there anymore. If it was
8 an electrical fault, the fault itself isn't there any
9 more because the power is disconnected to the plant.
10 Whether or not one can identify an arc imprint on a
11 piece of conduit or something that indicated a short
12 circuit, well, the devastation in this plant was so
13 severe, that we gave up on that.

14 If I could make the point, if one were to
15 bring gasoline into the home for cleaning, that would be
16 a very unsafe act. And the unsafe act is bringing the
17 gasoline into the home in the first place, because it is
18 very volatile and vapors will accumulate, and there
19 could be an explosion. Would we argue much about what
20 ignited that gasoline, no, because the unsafe act is
21 bringing the gasoline into the home in the first place.
22 And it's the same with dust. This incident, or the one
23 in -- the others that we're investigating, involved
24 accumulations of dust. The sleeping giant I referred
25 to. And it's keeping those accumulations to a minimum
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's going to prevent these things.

2 MS. MERRITT: When you were describing
3 the development of this antitack agent, one of the
4 questions I had all along has been, Crystal did not
5 provide an adequate material safety data sheet for this
6 product describing the warnings. Why was -- what was
7 the situation or the relationship between West and
8 Crystal that would let Crystal off the hook, so to
9 speak?

10 MR. SELK: I don't think anyone is
11 off the hook. West went to Crystal and West had in mind
12 to use ACumist and water. West wanted to use ACumist
13 based paste. And they gave a specification to Crystal
14 who made this paste for them. Crystal, on the other
15 hand, knew what the application was. Crystal knew what
16 a batch-off machine was, and knew what coating rubber
17 was about, and didn't include those warnings in their
18 material safety data sheet, the combustible dust
19 warnings. So Crystal's material safety data sheet was
20 not a good a data sheet as it could have been, and that
21 is because it didn't deal with the use of the product.
22 It only dealt with perhaps the shipping of the paste.
23 And there is a standard. There is an ANSE standard that
24 guides preparers of Material Safety Data Sheets, and the
25 standard just says that one should consider the uses of
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the product when one is preparing the data sheet and
2 that didn't get done.

3 MS. MERRITT: Does Crystal have other
4 customers to whom they supplied Material Safety Data
5 Sheets that might be inaccurate?

6 MR. SELK: Well, we didn't look at
7 all Crystal's product line. This particular product,
8 ACumist paste in water was only supplied to West.

9 MS. MERRITT: Thank you. Are there other
10 questions.

11 (No response.)

12 MS. MERRITT: Then at this time I would
13 like to open the floor for public comment. I do have a
14 list of people. Ms. Joyce Mitchell from Senator John
15 Edwards office, unfortunately we missed her before. And
16 I would like to open the floor and allow you to speak
17 please.

18 MS. MITCHELL: Thank you, Madam Chair,
19 and good evening to you and members of the Board. I
20 Cheerfully submit this letter on behalf of Senator John
21 Edwards, and ask that it be entered into the record.

22 "Dear Ms. Merritt:

23 I offer my sincere thanks to the United States
24 Chemical Safety and Hazard Investigation Board for the
25 work that you have performed in determining the cause of
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the tragic explosion of the West Pharmaceutical plant in
2 Kinston, North Carolina on January 29, 2003.

3 Lives have been lost, families have been
4 devastated, and the healing process continues even
5 beyond this day. As you and members of the board
6 present your facts and findings this evening, please
7 know that I extend my gratitude for the time, energy and
8 dedication that you have given to bring closure to many
9 unanswered questions.

10 To Mr. Morrell, the West Pharmaceutical
11 employees, family members and friends, may you continue
12 to strengthen and support one another as you strive to
13 renew your hope and faith in this ever changing world.
14 I offer my full support in the days ahead as we strive
15 together to make America a stronger nation for all.

16 Yours sincerely, John Edwards. "

17 Thank you.

18 MS. MERRITT: Thank you. Would you give
19 that letter to Mr. Horowitz and we'll enter that in the
20 record. Thank you very much.

21 I also have several other names. I'll call
22 them in order. If you would state your name for the
23 court reporter, I would appreciate it. Ms. Patsy Gates.

24 MS. GATES: I'm not going to say
25 anything.

26 **NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. MERRITT: Mr. Jim Edwards?

2 (No response.)

3 MS. MERRITT: Ms. Barbara Tark?

4 (No response.)

5 MS. MERRITT: Are there any other
6 comments from the floor that would like to be made at
7 this time?

8 (No response.)

9 MS. MERRITT; If not, then I would like
10 to call for a motion to accept the report and
11 recommendations. Is there someone who will make that
12 motion?

13 MR. BRESLAND: I make a motion to approve
14 the CSB Investigation Report 2003-07-I-NC regarding a
15 dust explosion and fire that occurred on January 29,
16 2003 at the West Pharmaceutical Services, Inc. plant in
17 Kinston, North Carolina.

18 MS. MERRITT: Thank you, Board Member
19 Bresland. Is there a second?

20 MR. VISSCHER: Second.

21 MS. MERRITT: That's seconded by Board
22 Member Visscher. At this time I would like to call for
23 any discussion that there might be concerning this
24 motion. Is there any question or discussion on the
25 floor?

26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (None heard.)

2 MS. MERRITT: Then I'd like to call for
3 a roll call vote. Board Member Bresland?

4 MR. BRESLAND: Approve.

5 MS. MERRITT: Board Member Visscher?

6 MR. VISSCHER: Approve.

7 MS. MERRITT: Board Member Poje has
8 given us his proxy which approves this report. And I as
9 Chairman also approve the report. That allows this
10 report to be approved unanimously.

11 At this time the Board would like to express
12 our thanks to the West investigative team. A great deal
13 of effort, blood, sweat, and tears have gone into this.
14 We also extend to the survivors and to the families of
15 those who lost family members our condolences on this
16 event. We are glad to see that this facility is
17 reopened and that jobs have been refilled here in
18 Kinston. This is an important and a very vital company
19 here.

20 I would like at this time to recognize the
21 other team members, Angela Blair, Lisa Long, Johnnie
22 Banks and Jordan Barab for all of your hard work. Your
23 expertise has allowed us to produce a thorough and pain
24 stacking report under very challenging circumstances.
25 In the coming months the Chemical Safety Board

26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recommendation team will follow the actions that are
2 taken in response to this investigation and to the
3 report, and the recommendations, and will be reporting
4 back to the Board on progress made. In the meantime,
5 the Chemical Safety Board is working on the
6 investigation of two other chemical dust explosions in
7 Corbin, Kentucky and Huntington, Indiana. We expect
8 those reports and the findings to be concluded by the
9 end of the calendar year.

10 I thank all of you who are here tonight for
11 your attention, for attendance and for your interest in
12 our work. Your participation is a crucial element in
13 this process. The full report of the West
14 Pharmaceutical Investigation will be available to
15 download on our website, www.csb.gov in the next few
16 days. With that, I call this meeting adjourned.

17
18
19
20
21
22
23
24
25
26

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

Congress of the United States
House of Representatives
Washington, DC

September 22, 2004

Carolyn Merritt, CEO and Board Chairman
U.S. Chemical Safety and Hazard Investigation Board
2175 K Street NW, Suite 650
Washington, D.C. 20037-1809

Dear Ms. Merritt:

Thank you very much for your gracious invitation to the public meeting on September 23, 2004 regarding the chemical accident that occurred at the West Pharmaceuticals facility in Kinston. I appreciate your willingness to include me in this event so that I might have an opportunity to speak with the community about this critical issue.

It is unfortunate that my congressional duties here at the Capitol will not allow me to attend the meeting. I have been watching this process carefully and I will do everything possible to support the many people affected by this tragedy.

A representative from my office will attend the meeting so that I can continue to closely monitor this process. Please extend my regrets.

Very truly yours,


G. K. Butterfield
Member of Congress



United States Senate
WASHINGTON, D. C. 20510

September 22, 2004

Ms. Carolyn Merritt
Chairman/CEO
U. S. Chemical Safety and Hazard Investigation Board
2175 K Street, N. W.
Washington, D.C. 20037

Dear Ms. Merritt:

I offer my sincere thanks to the U. S. Chemical Safety and Hazard Investigation Board for the work that you have performed in determining the cause of the tragic explosion of the West Pharmaceutical plant in Kinston, NC on January 29, 2003. Lives have been lost, families have been devastated and the healing process continues, even beyond this day.

As you and members of the Board present your facts and findings this evening, please know that I extend my gratitude for the time, energy and dedication that you have given to bring closure to many unanswered questions. To Mr. Morel, the West Pharmaceutical employees, family members and friends, may you continue to strengthen and support one another as you strive to renew your hope and faith in this ever-changing world.

I offer my full support in the days ahead as we strive together to make America a stronger nation for all.

Yours sincerely,

A handwritten signature in cursive script that reads "John Edwards".

John Edwards

JE:jmm

Statement of U.S. Representative Walter Jones

Ladies and Gentlemen:

Thank you for the invitation to tonight's release of the findings of the investigation into the West Pharmaceutical explosion. I regret that I am not able to be in attendance, but I must be in Washington for votes.

Everyone in this room will never forget the tragedy of the West Pharmaceutical Explosion that shook this community in January 2003. I will never forget the horrific stories that were shared with me by employees, rescuers and county officials who experienced the explosion first hand. I pray that the families that lost a loved one and that those who were injured are finding peace and healing after such a difficult time.

Tonight the final report on the findings of the Chemical Safety and Hazard Investigation Board's investigation into the West Pharmaceutical Explosion will be released. It is my hope that this report will bring closure for many who still have questions.

Thank you to the Chemical Safety and Hazard Investigation Board for your commitment and the hard work put into this investigation. Through your efforts, the information shared in this report will give insight into why the explosion occurred and help reduce the risk of such a tragedy from happening again.

I ask that God bless everyone here tonight and God continue to bless America.



September 23, 2004

United States Chemical and Hazard Investigation Board
c/o Dr. Daniel M. Horowitz
2175 K Street, Northwest
Suite 650
Washington, D.C. 20037

Dear Members of the United States Chemical and Hazard Investigation Board:

I am glad to take this opportunity to welcome you to North Carolina and thank you for holding this valuable forum regarding the chemical explosion at the West Pharmaceutical plant on January 29, 2003. That event was a tragedy that we, as North Carolinians, and Kinstonians, particularly, will not forget.

As we move forward, however, it is vitally important that we learn as much as possible about what happened that day in order to prevent future disaster and to continue to raise our standards of safety and excellence. West Pharmaceuticals is an outstanding corporate citizen of eastern North Carolina; I support them in their efforts to improve their facilities. I am pleased that the United States Chemical and Hazard Investigation Board has provided its expertise for this project. With the knowledge that today's report will give us, along with the dedication I have seen from the West staff and management, I feel confident that West Pharmaceutical and the town of Kinston will continue to benefit from their partnership.

With my warmest best wishes,

A handwritten signature in black ink that reads "Elizabeth Dole". The signature is written in a cursive, flowing style.

Elizabeth Dole