

UNITED STATES OF AMERICA

+ + + + +

CHEMICAL SAFETY AND HAZARD INVESTIGATION BOARD

PUBLIC MEETING

+ + + + +

TUESDAY, SEPTEMBER 17, 2003

The meeting came to order in the Cafritz Auditorium, 800 21st Street, NW, Washington, DC at 9:30 a.m., Carolyn Merritt, Chair, presiding.

Present:

Carolyn Merritt	Chair
John Bresland	Member
Gerald Poje, Ph.D.	Member
Irv Rosenthal, Ph.D.	Member
Andrea K. Taylor, Dr. P.H., MSPH	Member

Johnnie Banks	Chemical Incident Investigator
Angela Blair	Chemical Incident Investigator
John Vorderbrueggen	Chemical Incident Investigator
Ray Porfiri, Esq.	Deputy General Counsel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

I-N-D-E-X

<u>AGENDA</u>	<u>PAGE</u>
Opening Remarks - Carolyn Merritt	3
Agenda Overview	9
Introduction of the Board	11
BLSR Operating, Ltd. Investigative Report	12
Discussion	34
Staff Recommendations	62
Public Comments	74
Discussion of Recommendations and Vote	78
Case Study by CSB Staff in Ohio	86
Discussion and Vote	116

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

9:30 a.m.

CHAIRPERSON MERRITT: Good morning. I'm Carolyn Merritt. I'm the CEO and Chairman of the Chemical Safety Board. I'm very glad to see you all here this morning, and I welcome you to this public meeting of the Board.

To begin, I'd like to start with a safety announcement. The two exits behind you if you turn left or right both lead to an emergency exit, and the one behind us also is an emergency exit that leads to the outdoors in the event of an emergency. Also, I'd like to ask you, if you would, to please turn your cell phones off or on to vibrate so that we can proceed without having to be disturbed by your important business.

But I'd like to again welcome you all, and I'm pleased that you're here today. Today, this proceeding is being videotaped, and the video will be put up on our web site, www.csb.gov, later this week for access to the general public and to those who are interested in our proceedings today.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In this meeting, we'll hear from two CSB
2 investigative teams who have completed investigations
3 on different incidents. The first report will detail
4 the events of a particularly tragic flammable vapor
5 cloud explosion and fire that occurred on January 13,
6 2003 in Rosharon, Texas in Brezoria County. The event
7 resulted in fatalities of three individuals and burns
8 to -- injuries to four others. On that morning,
9 Francisco Perez, 22, and Merchario Martinez, 32, left
10 for work as employees of BLSR Operating, an oil and
11 gas field waste disposal operation. Fifty-two-year-
12 old Barry Rayburne, an employee of T&L Environmental
13 Services, also left home expecting a routine day of
14 waste hauling, but this day was going to be anything
15 but routine. By that evening all of their families
16 and the futures of their families would have been
17 changed forever. Mr. Perez and Mr. Martinez would be
18 dead, and Mr. Rayburne would be fighting for his life
19 in a Galveston burn unit. That's a fight that he
20 would lose 42 days later. Four others would be burned
21 severely. All of their futures would be changed in
22 ways that we can't even begin to imagine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The BLSR investigation revealed that there
2 were some dangerous gaps in safety practices of some
3 oil and gas well producers, contractors, waste haulers
4 and disposers. In 1984, OSHA promulgated rules that
5 required all employers to create or obtain chemical
6 and physical hazard information on materials produced
7 or hauled, handled, in their operations and to give
8 the information to their employees, to their customers
9 and contractors. Those people are to be informed of
10 the risk posed by these materials. Employers are also
11 required to provide for their employees protection
12 while handling these materials. Trucking operators
13 also need this information to comply with Department
14 of Transportation requirements and to alert their
15 truck drivers of hazards associated with the materials
16 being hauled.

17 This hazard information gives everyone
18 receiving the hazardous material as well as others,
19 such as emergency response agencies and organizations,
20 needed information so that they can properly protect
21 and train their employees and know what safety
22 regulations apply. This way they can take precautions

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 necessary to safely handle the material and to protect
2 their employees. If these requirements had been
3 followed, the explosion and fire at BLSR might not
4 have occurred. The victims would still be with their
5 families, and January 13 would indeed have been just
6 another work day.

7 The task of the CSB is to investigate
8 these incidents in a scientific and objective way to
9 find out what happened and to determine how to prevent
10 them from happening again. It's not our intent to
11 apportion blame or liability to anyone. There are
12 thousands of oil and gas field workers, truckers and
13 waste haulers in Texas and in other parts of the
14 country, such as Pennsylvania, Louisiana, Kentucky,
15 California, Ohio, Illinois and Indiana. No one should
16 be faced with these same hazards just because they've
17 not been aware of the dangers that they're being
18 exposed to.

19 We also seek partners in the oil and gas
20 industry and in those regulators who have authority in
21 the oil and gas industry to take a lead in getting
22 this information out. And gas and well owners,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 operators, contractors and service businesses
2 throughout the country might be handling similar
3 materials without knowing about the flammability
4 hazards or the regulations concerning the management
5 and transport of these oil and gas waste materials.
6 Today we'll hear about the consequences of those
7 hazards and make recommendations to responsible
8 authorities and industry operators on how to prevent
9 this tragedy from happening again.

10 The incident information is also being
11 distributed to the press that services the Spanish-
12 speaking population of the Houston area. Many oil and
13 gas workers are fluent only in English -- I'm sorry,
14 only in Spanish. This population is at particular
15 risk if they are not given information in a language
16 that they can understand. In order to reach this
17 population, we'll be providing an incident digest and
18 other materials in Spanish as well as -- but we are
19 not the first line of information. That must come
20 from their employers.

21 The second report to the Board will be a
22 case study from the Chemical Safety Board staff who

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigated what might seem to be a minor incident in
2 Ohio. Fortunately, this was a near miss, and it
3 involved no fatalities. Our concern, however, as a
4 Board, is that incidents involving highly toxic
5 hydrogen sulfide gas are all too common and attention
6 is not being paid to the known hazard of hydrogen
7 sulfide gas generation in many manufacturing
8 facilities or treatment facilities where chemicals are
9 used. This report documents the mixing of sulfide and
10 acidic materials in an open top waste treatment vessel
11 that subsequently generated toxic hydrogen sulfide gas
12 when these chemicals reacted. One worker was rendered
13 unconscious but fortunately recovered. Here again
14 failure to recognize the hazards of inadvertent
15 hydrogen sulfide gas generation, failure to maintain
16 hydrogen sulfide warning alarms and failure to
17 properly train employees of the hazards of hydrogen
18 sulfide nearly took another life. All of these are
19 preventable.

20 Learning from these two incidents and
21 changing how business is managed to take these
22 potentially hazardous situations serious is key to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 preventing them from occurring somewhere else. Small,
2 medium and large operations must take seriously its
3 safety responsibilities and protect their workers from
4 serious consequences that can result from exposure to
5 physical and toxic gas hazards on the job.

6 The CSB is a scientific and independent
7 agency. It's not our task to place blame on
8 individuals in our investigations but to identify the
9 holes and gaps in regulations, operations and
10 management systems that allow these events to happen.

11 Our mission is to promote prevention of similar
12 incidents, but we can't do it unless business owners
13 and operators change their view of safety and their
14 duty under the law to protect their employees and the
15 public from chemical hazards.

16 Now to the business of the meeting. The
17 agenda we'll follow today will first be to have the
18 BLSR investigation review presented by the staff. At
19 that time, we'll open the proceedings for questions to
20 the staff from the Board members. Then the staff will
21 present their proposed recommendations. At that time,
22 we'll open this meeting to public comment on the BLSR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigation. If you wish to participate, please
2 register with Mrs. Spiers at the front door. Your
3 comments must be germane to this investigation and
4 limited to three minutes. The public may not directly
5 question the staff or the Board, but I encourage the
6 public to make statements concerning this event if
7 they wish.

8 We'll then take a short break and when we
9 reconvene the Board may deliberate for further
10 clarification with the staff with any questions that
11 they might have about the report or the
12 recommendations. Following deliberation we'll
13 determine if we are prepared to vote on acceptance of
14 this report and the recommendations. The Board may
15 modify or add to the recommendations at this time.

16 Following the vote on BLSR, the meeting
17 will proceed to the case study on environmental
18 enterprises incident. There will be questions for
19 staff and discussion by the Board. The public will
20 again be invited to comment, and again I would ask you
21 to register with Mrs. Spiers at the front table if you
22 wish to comment on the EEI case study, keeping your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 comments germane to this incident and limited to three
2 minutes. The Board will then vote on accepting the
3 staff report.

4 Now, are there any questions by the Board
5 members or any other opening statements? Then if not,
6 I would like to introduce the Board -- I forgot to do
7 that. On my left here -- on my left -- on my right is
8 Dr. Irv Rosenthal, Dr. Andrea K. Taylor, Mr. John
9 Bresland. To my left is Ray Porfiri. He is
10 representing our Office of General Counsel this
11 morning. And Board Member Dr. Gerry Poje. Also, I'd
12 like to introduce Charles Jeffers, he's our Chief
13 Operating Officer. And with that, I'd like to
14 introduce our investigator who is John Vorderbrueggen.

15 John is a registered professional engineer with more
16 than 30 years of experience in private industry. He
17 was the lead investigator for the BLSR investigation,
18 along with Mike Morris and who else was -- you want to
19 name those others who were involved with this?

20 MR. VORDERBRUEGGEN: Mike and I did the
21 field investigation. And then on the team was Bill
22 Hoyle and Giby Joseph and Ray Porfiri.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON MERRITT: Okay. Thank you.
2 Then you may proceed.

3 MR. VORDERBRUEGGEN: Thank you, Madam
4 Chair, members of the Board, staff and ladies and
5 gentlemen. Today, I'm going to present the findings
6 of our investigation of the BLSR Operating, Limited
7 incident that occurred last January 13 in Rosharon,
8 Texas. I want to talk about key issues, the incident
9 description, the incident analysis that we conducted,
10 I'll identify the root and contributing causes that
11 were determined, and then we'll present the
12 recommendations to the Board for consideration for a
13 vote. As mentioned, there's the staff that
14 participated in the investigation.

15 First a little lesson on well operations
16 to orient everybody to the operations that occurred.
17 The well head, which is the gas if it's a gas-
18 generating well, produces gas, water, there's salt,
19 cyanide and other mineral debris that comes up with
20 the gas stream. The gas stream itself is separated
21 out through the separation system and ends up in the
22 gas pipeline distribution system. In addition to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 natural gas that comes out, we have a material which
2 is a liquid hydrocarbon, highly enriched liquid
3 hydrocarbon, which is called condensate, and that is
4 transferred into storage tanks on site, everything
5 above the dotted line is at the well site. The water
6 is also generated, salt water comes out of the well in
7 significant amounts, and that all has to be handled
8 and transported. The condensate is field tested by
9 the oil hauler and if it passes the field test, it is
10 then transported to a refinery or other facility that
11 uses that condensate and processes it.

12 BS&W, or basic sediment and water, settles
13 to the bottom of the condensate tank, and that has to
14 be removed periodically and hauled and disposed of at
15 a waste disposal facility. So a waster hauler is
16 brought in to perform that function and then haul it
17 to the waste disposal facility for injection into the
18 ground.

19 And then finally we have the tank full of
20 water. It's primarily salt water, and that water is
21 removed by the same waste hauler and transported to
22 typically the same waste facility, or at least in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 case of this incident, the waster facility accepted
2 both materials and then disposed of.

3 Now what happened on January 13? The oil
4 hauler had rejected the condensate load because the
5 depth of BS&W exceeded the threshold value, which is
6 about ten inches deep in that tank. So the waste
7 transporter, T&L Environmental Services, was contacted
8 to come to the well site, drain the tank, drain the
9 BS&W out of the tank and then haul it to BLSR
10 Operating. When they were off-loading at BLSR they
11 generated copious amounts of flammable vapor, it found
12 an ignition source and ignited, and we heard what the
13 end results were. This view was taken about an hour
14 after the event while the Fire Department was still
15 there, and there was significant damage in addition to
16 the tragic deaths that we had.

17 As Chairman Merritt said, there were two
18 BLSR employees that were fatally burned at the scene
19 of the incident and three seriously burned. Two
20 drivers were seriously burned, and one of those two
21 drivers, Barry Rayburne, died 46 days later. The
22 other individuals that were burned are continuing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 their recovery process.

2 The key issues that we found in our
3 investigation was recognition of the flammability
4 hazard of oil field waste liquids, in particular basic
5 sediment and water, or commonly referred to as BS&W,
6 which is the material that settles to the bottom of
7 the condensate tank. The second key issue was safe
8 handling practices associated with disposal of these
9 highly flammable liquids.

10 Let me briefly summarize the three
11 companies that were involved in this incident. Noble
12 Energy is a global exploration and production, E&P,
13 operation. They're an independent oil producer, and
14 they've been in business since 1932. In 2002, they
15 generated 327 million cubic feet of gas per day, on
16 average, and 18,000 barrels of oil per day. The Texas
17 Railroad Commission regulates the gas and oil well
18 production, waste removal and all activities
19 associated with exploration and production activities,
20 and they provide permits to the various entities,
21 including Noble Energy.

22 This happens to be one of the tank

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 batteries at one of the two well sites that was
2 involved in the incident. The tank on the left is the
3 water tank. They're 20 feet tall, 12 feet in
4 diameter. The two tanks on the right contain the
5 condensate. And the BS&W is only in the bottom of
6 these two tanks, and, again, the threshold is only
7 about ten inches before the oil hauler will not accept
8 the load and the BS&W then has to be removed and
9 disposed of.

10 T&L Environmental Services provides that
11 service to the oil industry, and they did at the day
12 of this event at the two well sites that were
13 involved. They are a vacuum truck exploration and
14 production waste liquid removal and hauling business.

15 They, as well, are permitted by the Railroad
16 Commission. They had about 15 employees in their
17 operation, and their vehicles were not designed or
18 maintained to transport flammable liquids as regulated
19 by U.S. Department of Transportation, and we'll get
20 into that discussion and how that plays into this as
21 we move forward.

22 This happens to be a photo of a truck

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 similar to the two trucks that were destroyed on the
2 fire. It's a 50-barrel truck, which is about 2,100
3 gallons, and they drain out of the back of the truck.

4 That large bumper protects the back drain and the
5 like, and that also -- that bumper and the drain
6 method plays into the vapor generation problem that
7 occurred at BLSR. BLSR Operating, Limited is the
8 waste disposal facility. They are permitted by the
9 Railroad Commission to accept waste liquids that are
10 generated at the oil production and drilling
11 operations throughout the state, and they also bring
12 in some other state waste materials. They have a salt
13 water disposal station that takes the water that's in
14 the big tanks, and they also have a mud disposal and
15 washout pad that takes drilling mud and other high
16 viscous material that can't flow effectively through
17 the piping systems. They also skim oil off of the
18 salt water disposal side and sell that to the industry
19 similar to the condensate being sold by the oil
20 producer or the gas producer.

21 They had 18 employees when the event
22 occurred. Some of those employees were not English-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 speaking, and they could only communicate to
2 management through one of their cohorts that might be
3 bilingual, because none of the BLSR management people
4 were bilingual. And, again, Texas Railroad Commission
5 permits the BLSR Operating, and they in fact have five
6 EPA Class 2 injection wells. EPA and Class 2 wells
7 are wells that can accept waste water and liquids from
8 the oil field production and drilling operations.

9 This is an aerial view of BLSR. The salt
10 water disposal is there on the left, the large tank is
11 the primary holding -- temporary holding tank before
12 they inject the salt water in the ground, and then on
13 the right is the mud disposal washout pad. It's
14 covered by a roof structure which is strictly a rain
15 guard, and that's where the fire occurred. And size-
16 wise it's about 150 feet between those two locations.

17 The vehicles come down the road from the right on
18 that dirt road and come into one of the two off-
19 loading stations.

20 I'll describe a little bit more detail of
21 what happened. The two T&L trucks arrived
22 approximately the same time, within a couple minutes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 of each other. They had come from two different well
2 sites, both operated by Noble Energy, and they had
3 both had BS&W in the trucks. One truck backed into
4 position, as shown in the view here. The other truck
5 was backed in, and they're about 24 feet apart, as you
6 can see. The two drivers left their trucks with the
7 engines running and proceeded to the office there
8 where they wait for the trucks to be drained by BLSR
9 employees and BLSR employees also do a washout of
10 these trucks to clean out, and they just use this hose
11 spray to clean the inside of the trucks as necessary.

12 And liquid flows down a slight slope to the life
13 pumps, and then it's transferred into holding tanks
14 and then injected in the ground.

15 So the drivers move into the office,
16 trucks are unloading for about five minutes, and
17 suddenly both engines start to overrev and start
18 backfiring and the drivers heard this as well as the
19 other employees. There was thick black smoke coming
20 out of the exhaust stacks, both of them were
21 responding in similar manners, and the drivers and one
22 BLSR employee actually left that office that they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 in and approached the trucks with the purpose of
2 shutting the trucks off. The drivers thought they
3 could shut the trucks off, and they actually went and
4 opened the doors of the trucks. It was right about
5 then that the fire ignited and engulfed the trucks and
6 the personnel.

7 That's another view of the incident, about
8 an hour when they were doing final mop-up, and you can
9 see the one truck in the scene. They were cooling
10 that truck off and, as you can see, everything is just
11 destroyed. Another view of the trucks looking from
12 the other direction.

13 Our incident analysis identified that E&P
14 industry believes that basic sediment and water, BS&W,
15 is not a significant flammable hazard. They recognize
16 that it does have some flammability, but they don't
17 recognize the extent of that flammability. And then,
18 furthermore, that the industry doesn't recognize that
19 what ends up in the truck itself can contain
20 significant quantities of highly volatile and
21 flammable condensate, which if the BS&W starts out not
22 to be flammable, as mentioned earlier, it may not be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flammable depending on the well site, the driver may
2 make it flammable in the process of unloading, and
3 I'll explain that as we go through.

4 Just as a reference point, U.S. Department
5 of Transportation defines the flammability limit as a
6 liquid that has a flash point below 141 degrees
7 fahrenheit. The flash point is the lowest temperature
8 at which a liquid will continue to release vapors such
9 that it could ignite. The OSHA flammability limit
10 that applies to the hazard is a flash point of 100
11 degrees fahrenheit, below 100 degrees fahrenheit. And
12 these exploration and production waste liquids are
13 subject to both OSHA and DOT regulations. There are
14 no exemptions from these regulations.

15 As far as the flammability of BS&W that we
16 examined during our investigation, we looked at 12 of
17 13 samples out of six different well sites, including
18 the two well sites that were involved in this
19 incident, and found that in all 12 of those cases DOT
20 flammability limit and OSHA flammability limits were
21 -- the liquids were well within those limits. They
22 were down around 30 degrees fahrenheit. Also, EPA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 published a report in 2000 that identified 17 of 32
2 results that had been submitted to them by industry
3 throughout the United States exhibited similar
4 flammability characteristics, and they qualified as
5 both DOT and OSHA flammable requiring special handling
6 and precautions.

7 Now, the next issue is vacuum truck
8 handling of the BS&W and mixing of BS&W when it's
9 taken out of the tanks. There's three things that
10 happen that could make the BS&W either more flammable
11 or if it wasn't flammable to start with, they can make
12 it flammable. The removal process affects what's
13 going into the truck, the flow characteristics of the
14 tank contents affects what ends up in the tank
15 mixture, and, finally, measurement accuracy by the
16 driver all plays into the situation.

17 This slide here shows an example of what
18 happens when the driver is removing BS&W out of the
19 bottom of this tank. The tank's 12 feet in diameter,
20 about 20 feet tall. In this example, which is
21 representative of what happened in one of the -- or at
22 least the levels of what happened at one of the two

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 well sites is the well site reported that they had 13
2 inches of BS&W and it needed to be removed from the
3 tank.

4 If you look at the lower right corner, if
5 you drop below four inches, you are going to take
6 condensate out of that tank when you're unloading and
7 putting it in your vacuum truck. We don't know
8 exactly how much the driver intended to take, so I'm
9 going to make the assumption that he only was taking
10 eight inches, which happens to only be 13.5 barrels,
11 or 563 gallons. So let's see what happens as the
12 condensate comes down.

13 It only took him about four minutes to get
14 that tank drained, because he's pulling about 100
15 gallons a minute. And what's really happening is the
16 BS&W doesn't stay level across there as the whole
17 level of the contents comes down, and he thought he
18 was going to be at five inches in our example, but in
19 fact if he dropped to that level, he's probably
20 pulling condensate unless he were going very, very
21 slow. So that's one factor that causes the mixture in
22 the truck to possibly be more flammable than what the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 pure BS&W was.

2 Just, again, to show you these tanks.
3 We're talking a 20 foot tall tank, it's 12 feet in
4 diameter. He's only taking 13 inches or it's only at
5 about 13 inches, and in the situation, in the incident
6 we're talking about, the waste material was drained
7 from the drain connection that is connected to piping
8 that goes around to the back of those tanks. Now, the
9 product drain connection is 12 inches up -- the bottom
10 of that product connection is 12 inches up, and that's
11 where they pull the product from, that other
12 connection port.

13 The next problem that we identified, issue
14 we identified was that the measurement accuracy from
15 the waste hauler compounds the issue. In fact, the
16 waste hauler did not measure the tank contents level,
17 so he wasn't necessarily sure how much liquid was in
18 the tank. He clearly didn't measure the BS&W level in
19 the tank. And the only thing he used to determine how
20 much liquid he had pulled out of the tank was that
21 site glass right there. And as you can see, that site
22 glass is not very transparent and there are no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 calibrated markings on that gage. The only thing he
2 might have been able to guess at is that the tank's
3 half full, it's a 50-barrel truck. Maybe he had a
4 reasonable estimate of 25 barrels. But he was only
5 taking about 13 barrels out of each of a couple tanks.

6 So there's a real shortcoming in the protocols that
7 the waste hauler uses.

8 Just briefly reviewing the records of one
9 of the two well sites, at 8:30 in the morning, the oil
10 hauler physically and accurately measured 13 inches of
11 BS&W in one tank and 15 inches of BS&W in the other
12 tank. If you subtract that four-inch tolerance band
13 because of the drain position, there was only about 34
14 barrels available to be taken the morning of the
15 incident at the CJ Waller Site, which is one of the
16 two well sites. The waste hauler reported at 3:30 in
17 the afternoon he actually had filled his truck from
18 those two tanks, which means he had up to 16 barrels
19 of highly flammable condensate mixed in with the BS&W.
20 That's 32 percent of his load.

21 Now we have a highly flammable liquid that
22 can generate lots of vapor. It gets delivered to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 BLSR. The trucks back into position and BLSR
2 employees open two drain valves on each of the two
3 trucks. Those are -- one's a three-inch port, one's a
4 four-inch port. There were no hoses used to control
5 any splashing or any flow of the liquid. Literally,
6 it pours out onto the ground. Some of it, of course,
7 is splashing on that large bumper. Now we are
8 generating copious amounts of flammable liquid. All
9 it needs is an ignition source and we're in trouble.
10 And that's exactly what happened.

11 We identified up to five possible ignition
12 sources. We narrowed it down to the most probable,
13 but that doesn't necessarily eliminate all of those.
14 So I'm going to talk just about the credible and
15 probable ignition source. The diesel engine. The
16 nature of the beast is that, number one, it has a very
17 high temperature surface, and the literature reports
18 that at idle it's about 250 degrees fahrenheit, and
19 under full load it can exceed 900 degrees fahrenheit.

20 A hot surface contact by the vapor can ignite that
21 vapor, so that is a credible ignition that existed at
22 the facility from the two trucks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 The probable ignition source, we
2 concluded, also involved the engines, and let me just
3 show you on this last slide. Notice this elbow here
4 and that rubber hose fitting. That's the discharge of
5 the turbo charger, and that's part of the intake
6 system on the truck. And that's what it looks like.
7 This is a photo of a similar engine to that that was
8 destroyed in the fire. This next slide shows the
9 after on one of the two engines. What happened --
10 what we concluded happened was as the vapor was being
11 sucked into the engine intake system, as evidenced by
12 the backfiring and the black smoke, it ignited inside
13 the intake system, and when it ignited it blew the
14 elbow off the fitting there, and you can see where it
15 fractured the flange surface on the elbow and it also
16 tore that elbow. And notice there's no fire damage on
17 this elbow. That means that that elbow was on the
18 ground before the fire destroyed the trucks. It's
19 clear evidence that we had a serious backfire in this
20 engine.

21 Further evidence that this same engine
22 oversped and backfired is when it was disassembled

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the push tube, or push rod for those of you not
2 familiar with diesel engines, was seriously bent, and
3 valve stem damage was identified that show that the
4 valve was stuck in the open position that provides an
5 ignition from inside the cylinder back through the
6 intake system, blowing off the elbow and igniting the
7 flammable vapor.

8 So what were the root and contributing
9 causes that resulted in this very tragic incident.
10 Our investigation concluded two root causes. Noble
11 Energy, which was the shipper/offerer of the waste
12 material to be hauled, did not identify the true
13 flammability hazard of the BS&W that was to be hauled
14 away at their facility. Again, they knew that it had
15 some flammability, but they had not clearly identified
16 what level of hazard it posed to the workers. They
17 didn't provide the OSHA material safety data sheet to
18 the drivers, and the storage tanks were not marked
19 with any labeling indicating what the flammability of
20 that material might be. The second root cause was
21 that BLSR, which again is the operating facility of
22 the waste facility, did not identify and manage the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 flammable liquid hazard that was being delivered to
2 their facility. They did not know what the real
3 hazard was, they did not obtain or request an MSDS or
4 other document from the driver, and they did not test
5 it to determine what it was in the absence of
6 information that the driver could have or should have
7 provided.

8 The next problem with BLSR in this root
9 cause is that the vacuum trucks weren't grounded.
10 Grounding is an important feature to minimize the
11 potential for static discharge. And then, finally,
12 the method of unloading this flammable liquid clearly
13 promoted uncontrolled vapor generation. It happened
14 to be a fairly calm day that afternoon, the winds were
15 essentially calm, and, quite unfortunately, they were
16 blowing from the back of the -- the slight movement
17 was from the back of the truck to the front of the
18 truck, so any vapor generated had a tendency to move
19 to the ignition source that we identified.

20 We have a series of contributing causes
21 that played into this unfortunate event. T&L, the
22 trucking company that hauled the waste material, did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not obtain the material safety data sheet for the
2 material that they were hauling. They did not obtain
3 that from the shipper, Noble Energy. In fact, they
4 incorrectly believed that it was not a DOT hazard
5 class 3 flammable. As I mentioned early in the
6 presentation, T&L did not have authority to haul a DOT
7 class 3 flammable, and had they known they would not
8 have, but they didn't think that this was in that
9 category. And, also, T&L did not use any procedures
10 to minimize removal of condensate when they were
11 loading their truck. We had the measurement
12 inaccuracies, the flow characteristics were not
13 understood by the drivers.

14 T&L did not use industry guidelines for
15 safely unloading flammable liquids. There is an
16 American Petroleum Institute recommended practice,
17 2219, safe operation of vacuum trucks in petroleum
18 service. They address minimizing flammable vapor
19 generation, or it addresses, and it also addresses
20 control of ignition sources such as make sure you
21 ground the truck. The trucks were grounded when they
22 loaded them; they weren't grounded when they unloaded

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 them. It also recommends that you shut off the engine
2 if it's not required to be used. There are situations
3 where the vacuum pump is required to be used; in fact,
4 they use the vacuum pump to pull the liquid out of the
5 tanks at the well site. So you can't always turn off
6 the engine.

7 BLSR did not use industry guidelines to
8 manage the receipt of potentially flammable waste
9 liquids at their facility. There's another American
10 Petroleum Institute recommended practice, G00004,
11 guidelines for commercial exploration and production
12 waste management facilities. BLSR actually relied on
13 the drivers to select which unloading station would be
14 used without considering that the pad was an open
15 disposal area, and they did not consider the
16 flammability hazard associated with that.
17 Furthermore, BLSR did not provide adequate training on
18 hazard awareness and safe work practices to their
19 employees and the drivers that were waiting for their
20 loads to be offloaded.

21 Next contributing cause, T&L and BLSR did
22 not train employees on the cause and safe response to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 diesel engine over-revving, and this is probably a
2 fairly common misconception in industry. Number one,
3 both engines responded to flammable vapor by over-
4 revving, as reported by eyewitness and as evidenced by
5 damage to the engines. The two drivers and one BLSR
6 employee went to the trucks thinking they could stop
7 the problem and in fact that action directly resulted
8 in the death of one driver and serious burns to the
9 other driver and to the BLSR employee.

10 Let me talk briefly about the regulatory
11 agencies. Environmental Protection Agency has
12 regulatory authority over exploration and production
13 waste liquids. These waste liquids are exempt from
14 Resource Conservation Act, Subtitle C, Hazardous
15 Material Regulation. That regulation addresses the
16 toxic hazard to workers and the exposure to the
17 environment from these toxic hazards. E&P waste
18 liquids are exempt, and there's significant studies
19 conducted by EPA to defend that position.

20 The state agencies actually do the day-to-
21 day regulation of these waste liquids as they're
22 generated, transported and disposed in industry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 OSHA, Occupational Safety and Health Administration,
2 there's two specific areas that are of importance in
3 this incident. One is hazard identification, which is
4 29 CFR 1910.1200. It requires that the employer, and
5 this could be Noble Energy, it could be T&L, it could
6 be BLSR, provide adequate labeling, provide a material
7 safety data sheet and provide adequate training to
8 employees who are exposed to hazards in the workplace.

9 And it also addresses and has specific regulations
10 for proper design of a facility that deals with a
11 flammable liquid based on that threshold temperature I
12 mentioned earlier, and that's in 1910.106.

13 The United States Department of
14 Transportation under their Hazardous materials and Oil
15 Transportation, which is 49 CFR Subchapter A,
16 identifies a requirement for the transporter, T&L in
17 this case, to classify, or the shipper to classify the
18 hazard, the shipping papers to be properly prepared,
19 the container, i.e. the tank on the truck, to be
20 properly designed if they're hauling a hazardous
21 material and then to finally labeling on the truck
22 that we call placards to identify to the emergency

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 responders what's in the truck should it be involved
2 in an accident on the public highway.

3 And then the Texas Railroad Commission. I
4 said earlier they regulate the oil exploration and
5 production in the state of Texas under Admin Code
6 Title 16, Part 1, Chapter 3. And they address
7 exploration, they address production, transportation
8 and waste injection. Their statutes cover
9 environmental protection, safety, which really focuses
10 on hydrogen sulfide safety-related issues, production
11 records and resource conservation, and they do
12 periodic permit holder audits, and they have audited
13 BLSR on a number of occasions over the years.

14 With that, I will open it up to the Board
15 for any questions or discussion before I move into the
16 recommendations that the staff has made.

17 CHAIRPERSON MERRITT: Okay. If you would
18 please raise your hand so I can recognize you. Dr.
19 Poje?

20 MR. POJE: John, thank you for the
21 presentation. I'm interested in going back to the
22 range of activities that occurred on the site of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incident for that particular day. Were there any
2 other flammable materials that you could have
3 considered as being contributory to this vapor cloud
4 or was it only the two truckloads that had greater
5 significance, presuming that this facility was taking
6 shipments throughout the day?

7 MR. VORDERBRUEGGEN: We reviewed the
8 operating records from BLSR, and the morning of the
9 event or during the day of the event they had
10 received, as I recall, about ten or 12 loads of waste
11 liquids from various production facilities. That
12 included drilling mud, it included salt water
13 disposal, it included BS&W disposal, and I believe a
14 couple of trucks actually came in just to be rinsed
15 out.

16 MR. POJE: Just to clarify on that, is
17 there any perception that you have about the
18 flammability of salt water shipments and drilling mud
19 shipments? You characterized bottom solids and waste
20 as, at least from some analysis from CSB samplings and
21 from EPA samplings, that it could be almost half of
22 such load as having a high flammability quotient.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 MR. VORDERBRUEGGEN: The salt water is
2 going to have trace amounts of hydrocarbon in it
3 because it's coming out of the well. Those trace
4 amounts probably are not sufficient to create near the
5 vapor cloud that we had, and there is -- in the salt
6 water tank it is intended to just be the salt water
7 and those trace amounts. The drilling mud, there's
8 two basic forms: There's a water-based drilling mud
9 and there's an oil-based drilling mud, and the oil-
10 based drilling mud is a diesel fuel base mineral oil
11 that is used as the liquid transport in this drilling
12 mud. So certainly it does have a flammability
13 characteristics that can start approaching the hazards
14 that we had.

15 It had been not less than about two hours
16 lag time from the last load of any material brought in
17 to when the event occurred. We were unable to test
18 any of the samples that preexisted, but based on the
19 information that we obtained and the contents that we
20 believe was in the truck based on the drivers' records
21 and based on the test samples out of the very same
22 tanks that these trucks had hauled from, the flammable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 liquid clearly came -- the highly flammable liquid and
2 all of the vapor generating capacity, if you will,
3 came from the two well sites.

4 MR. POJE: Thank you.

5 CHAIRPERSON MERRITT: Dr. Taylor?

6 MS. TAYLOR: I had a question, John,
7 regarding the measurement accuracy for the BS&W. You
8 mentioned that the employee who was required to remove
9 BS&W had not conducted the measurement. When is the
10 measurement -- my questions are twofold. One is when
11 are the measurements for the BS&W conducted again, and
12 how do they actually do that to determine whether
13 they're actually just pulling the sediment? Is there
14 any way of actually --

15 MR. VORDERBRUEGGEN: The only accurate
16 measurement of BS&W taken on these condensate storage
17 tanks is conducted by the oil hauler, that is the
18 company that is buying the condensate that's going to
19 drain it --

20 MS. TAYLOR: And in this case, this was?

21 MR. VORDERBRUEGGEN: And this was another
22 party that was not directly involved in the incident.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. TAYLOR: Okay.

2 MR. VORDERBRUEGGEN: They actually haul
3 the good condensate to a refinery or other process
4 facility, okay? The driver of that vehicle is
5 required -- will actually go up on top of the tank,
6 open the hatch and drop a measurement blind down into
7 the tank, it touches the bottom. He records the total
8 depth of liquid in the tank which is both condensate
9 and BS&W, and he also puts a chemical on the line down
10 low that changes color when it comes in contact with
11 water. So when he dropped it down in, he can see and
12 know exactly how deep the BS&W is. So now we have an
13 accurate measurement of that. And he will reject the
14 condensate load if that BS&W exceeds in this case
15 about ten inches. I believe ten inches was the oil
16 haulers accept-reject limit. Once he rejected that
17 load, that's when the waste hauler was called to
18 remove BS&W out of the bottom of the tank. So we do
19 have an accurate record of BS&W that the oil hauler
20 records and it's documented in paperwork that
21 ultimately ends up in Noble Energy for their use later
22 on.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The waste hauler doesn't use that
2 information and doesn't measure the depth of liquid in
3 the tank, either the BS&W, which is all he wants, or
4 the total tank contents. In this particular incident,
5 the waste hauler, the T&L truck driver, strictly
6 relied on what he was told that he needed to take out
7 X inches of BS&W and he drained that into this truck
8 only using the site gauge on the truck to determine
9 how much liquid he had actually pulled out of the
10 tank.

11 MS. TAYLOR: And is it still color-coded
12 then or no? I mean can you see --

13 MR. VORDERBRUEGGEN: No. It's strictly
14 what liquid goes into the vacuum truck it starts going
15 up on the site glass, and he's -- in this case, he was
16 really guesstimating how much liquid really had come
17 out of that vacuum truck, out of that first tank and
18 ended up in his truck. And then he had to do the sam
19 thing on the second tank and then, if you will, add
20 that quantity to his truck so he's starting somewhere
21 on that site glass with the second tank unload, and he
22 raises it up. And, again, based on the drivers'

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 records, even though the tank records indicate that
2 there wasn't enough BS&W to take out and avoid pulling
3 down below the drain line, he actually filled his
4 truck to 50 full barrels, which, again, was more than
5 30 percent of what was ultimately in the truck was
6 condensate.

7 MS. TAYLOR: Follow-up to that would be
8 then how often would a hauler be pulling that much
9 condensate and whether there's a way of knowing that
10 you're ever not pulling some condensate, and what
11 amount of condensate is acceptable? I guess three
12 different questions all in one, I'm sorry.

13 MR. VORDERBRUEGGEN: In beginning your
14 question you said how does the hauler know how much
15 condensate he's pulling. How much BS&W --

16 MS. TAYLOR: Right.

17 MR. VORDERBRUEGGEN: -- is what we're
18 looking at. Again, we're talking the waste hauler
19 trying to take the material off the bottom of the
20 tank.

21 MS. TAYLOR: Right.

22 CHAIRPERSON MERRITT: Can you go back to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that diagram?

2 MR. VORDERBRUEGGEN: To that slide? Sure.

3 Bear with me while I dig through my -- this is --

4 CHAIRPERSON MERRITT: The one before that.

5 MR. VORDERBRUEGGEN: Yes. I can do that.

6 CHAIRPERSON MERRITT: That one.

7 MR. VORDERBRUEGGEN: Okay. That's the
8 physical condition of that tank, the actual depth of
9 BS&W, 13 inches was the physical condition at 8:30 in
10 the morning on one of the four tanks that was drawn
11 from prior to the incident. The depth of condensate
12 is not really important in this example, other than we
13 know it was deep enough that they wanted to haul a
14 load. Typically, they would let that fill up. The
15 total height of the tank is 20 feet. They would call
16 the oil hauler to come and get the condensate when it
17 gets to be 15, 18 feet deep. They call the oil
18 hauler, the condensate hauler, the purchaser of the
19 condensate to come and take the load, but if the load
20 exceeds ten inches here, if the BS&W, as measured by
21 the condensate hauler exceeds ten inches, he won't
22 accept it because he doesn't want to chance getting

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 any BS&W into his condensate load because his buyer
2 will refuse to allow him to unload it.

3 MS. TAYLOR: Okay.

4 MR. VORDERBRUEGGEN: Okay?

5 MR. BRESLAND: Let me ask a follow-up
6 question while --

7 CHAIRPERSON MERRITT: Mr. Bresland.

8 MR. BRESLAND: -- this drawing is still up
9 here. Before we get to that, I had one other
10 question. The flash points that you were talking
11 about, the OSHA flash point and the DOT flash point
12 and then the flash point of the material, which I
13 believe you said was 30 degrees fahrenheit.

14 MR. VORDERBRUEGGEN: It was down around 30
15 degrees fahrenheit, as tested.

16 MR. BRESLAND: For comparison, what is the
17 flash point of the more common substance that we use,
18 gasoline?

19 MR. VORDERBRUEGGEN: Gasoline, it's down
20 around minus 50, depending of course on the type of
21 gas it is. Diesel fuel is 100, right at the threshold
22 for the OSHA definition. Charcoal lighter fluid is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 around 100 because it's essentially kerosene. So
2 there's a couple examples.

3 MR. BRESLAND: So this material in terms
4 of its flammability is somewhere between gasoline and
5 diesel?

6 MR. VORDERBRUEGGEN: Yes.

7 MR. BRESLAND: And you said that they
8 dumped -- when they went to the disposal they dumped
9 approximately 2,000 gallons of material which included
10 --

11 MR. VORDERBRUEGGEN: Of waste liquid.

12 MR. BRESLAND: Yes.

13 MR. VORDERBRUEGGEN: In each of two tanks.

14 So about 4,000 gallons from the two trucks. Both of
15 them were 50-barrel trucks -- about 4,000 gallons.

16 CHAIRPERSON MERRITT: Of what?

17 MR. VORDERBRUEGGEN: Of waste material,
18 presumably all BS&W, but we have accurate records from
19 the Waller site, which is the site that the driver
20 that survived hauled from. It's those records that
21 suggest that he had upwards of 32 percent of highly
22 flammable condensate that he had actually put into

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this truck.

2 MR. BRESLAND: So if your calculations and
3 assumptions are correct, when this dumping took place
4 or the discharge from the truck took place, they
5 discharged perhaps as much as 1,000 gallons of
6 flammable material?

7 MR. VORDERBRUEGGEN: Well, we know 16
8 barrels. Based on records we could argue 16 barrels
9 at 42 gallons a barrel is 700 gallons if we only
10 concluded that one truck had excess condensate, it was
11 about 700 gallons of condensate in the total amount
12 that was dumped.

13 MR. BRESLAND: Okay. Now, leaving that
14 for a second and getting back to the drawing that you
15 have up here, bearing in mind that this is not drawn
16 to scale, obviously as you know because you drew it,
17 and if it were drawn to scale, the tank itself would
18 probably reach to about the top of this building, 20
19 feet.

20 MR. VORDERBRUEGGEN: Yes. It's a 20-foot
21 tall tank. This is a standard tank throughout the
22 industry. The tank's 20 feet tall which is about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 top of this roof here, 12 feet in diameter, flat
2 bottom, no piping inside.

3 MR. BRESLAND: So you're talking about a
4 very -- you know, several inches in the bottom of a
5 20-foot tank, which they're removing at, you said, 100
6 gallons per minute.

7 MR. VORDERBRUEGGEN: Yes.

8 MR. BRESLAND: So it would seem to me that
9 in the overall operation of these systems in a general
10 way, apart from this one, if you discharge or remove
11 from the tank at a 100 gallons a minute, it would be,
12 from my perception of having been around times like
13 this in chemical plants, that it would not be uncommon
14 to suck out condensate material.

15 MR. VORDERBRUEGGEN: Oh, absolutely. If
16 you look at the second view here, again this is a
17 cutaway, but I didn't even get into the discussion of
18 the vortexing action that's occurring at the very
19 close to the port. So it could be more severe than
20 this rendition of what this fluid is probably doing in
21 this event.

22 MS. TAYLOR: So that goes to my second

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 question. How -- what is this -- I don't want to say
2 the safest amount of condensate can, say, a company --
3 are they not supposed to transport any condensate,
4 because it seems like it would be highly unlikely that
5 you would get just BS&W.

6 MR. VORDERBRUEGGEN: The goal, of course,
7 is don't take the man's oil, and those are the quotes
8 from every waste hauler we talked to. The last thing
9 the waste hauler wants to do is get the condensate,
10 because that condensate is very valuable. It's \$25 a
11 barrel or so. So the waste hauler did not
12 intentionally try to take this condensate at all. The
13 problem is that they don't recognize, they don't
14 realize when they draw down, if they get very close to
15 that nozzle, that's what's happening. And on top of
16 that, if they don't accurately measure what they're
17 taking, they could pull a lot more than should have.
18 So they end up mixing the condensate in the truck.
19 So, again, the issue becomes -- it's more complicated
20 if the BS&W tests non-flammable -- you know, the pure
21 BS&W hazard is very low, but what DOT's concerned
22 about and what BLSR needs to be concerned about is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 what's in the truck, and that's critical that the
2 driver manage that to the best of his ability to
3 prevent that hazard from increasing. Or if they did
4 make the hazard go up, then handle it accordingly.

5 CHAIRPERSON MERRITT: Dr. Rosenthal?

6 MR. ROSENTHAL: You had two truck
7 unloading.

8 MR. VORDERBRUEGGEN: Yes, sir.

9 MR. ROSENTHAL: And I gather why we looked
10 at the Noble Energy tank in some detail was we're
11 gathered from what I think I hear you say that in
12 similar situation it must have occurred in this other
13 source.

14 MR. VORDERBRUEGGEN: Yes. Both well sites
15 or Noble Energy well site almost identical in their
16 configuration.

17 MR. ROSENTHAL: Both were Noble Energy
18 well sites.

19 MR. VORDERBRUEGGEN: Both were operated by
20 Noble Energy.

21 MR. ROSENTHAL: Do you have any whether
22 their -- what the situation is at companies other than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Noble? Is this an industry-wide phenomenon, do you
2 think, or no information?

3 MR. VORDERBRUEGGEN: Based on the
4 interviews we conducted, which obviously were very
5 limited based on available time and resources, it's
6 hard to argue that it's widespread, but, clearly,
7 everybody we talked to the description that we're
8 providing here on how it was handled by these parties
9 goes well beyond these parties. The industry needs to
10 think harder about what's happening when they drain
11 these tanks, and the industry needs to think about
12 identifying these hazards to the workers.

13 MR. ROSENTHAL: Now, if you wrote an MSCS
14 on BS&W, which you carefully isolated, you might get
15 one flammability value and it might be --

16 MR. VORDERBRUEGGEN: It could be very low.

17 MR. ROSENTHAL: Very low.

18 MR. VORDERBRUEGGEN: In other words, it
19 could have a high flash point.

20 MR. ROSENTHAL: So really what you have to
21 write a MSCS for is not BS&W, but what is in those
22 tanks, what you take out, if you take it out in 55-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 gallon drums or if you take it out in the truck. You
2 could write one for BS&W and give it to someone and
3 they would conclude there's no hazard.

4 MR. VORDERBRUEGGEN: The duty of the Noble
5 Energys of the world, the producers of the world that
6 owns or manages this tank, is to identify what is the
7 real hazard of just the red BS&W in this view?

8 MR. ROSENTHAL: Yes. It's not just the
9 BS&W.

10 MR. VORDERBRUEGGEN: But the --

11 MR. ROSENTHAL: But there is a product
12 which is a drain product. And the reason I raise this
13 is that if you just get an MSDS on BS&W, you may have
14 no flammability hazard at all. What you're getting a
15 flammability hazard on is the results of an operation
16 in which Noble Energy is throwing away 30 gallons
17 every time they do this, a product, and not only are
18 they throwing it away, valuable product, they're
19 paying to dispose of it.

20 MR. VORDERBRUEGGEN: That's right. And,
21 again, what you're pointing to is the challenge that,
22 okay, so Noble does an accurate test of BS&W and they

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 can represent that it's not flammable under the DOT
2 reg. In other words, the flash point is way up there.

3 MR. ROSENTHAL: Right.

4 MR. VORDERBRUEGGEN: However, what does
5 the driver -- since the driver has the responsibility
6 to put the material in his truck, the trucking company
7 has a duty and responsibility to understand if they
8 have changed the hazard. If they have changed the
9 hazard, regardless of what the MSDS says, they then
10 have to treat it accordingly.

11 MR. ROSENTHAL: I'm not dealing with
12 responsibility, I'm just dealing with the description
13 to say the MSDS has got to be on the product as
14 drained, that there's a waste product that's got to be
15 characterized whichever way it has to be for the
16 hazards that it has.

17 MR. VORDERBRUEGGEN: And that's the DOT
18 regulatory status.

19 MR. ROSENTHAL: And we're dealing with a
20 situation in which a very sloppy operation is throwing
21 away valuable product and creating hazards. So it may
22 be a fairly general thing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The other thing, you come to the question
2 that in this particular instance the evidence
3 indicates that the ignition source was probably the
4 diesel truck. Was this site, the unloading site, was
5 it all wired to handle flammable atmospheres, codes on
6 flammable atmospheres?

7 MR. VORDERBRUEGGEN: No, it wasn't.

8 MR. ROSENTHAL: Okay.

9 MR. VORDERBRUEGGEN: There were lighting
10 systems, 110-bolt lighting systems on the overhead
11 roof structure that were just what you'd find in your
12 garage. They were not designed to be used in a
13 flammable environment. They were not in use at the
14 time of the event. The lights were turned off and the
15 like, but they were not properly --

16 MR. ROSENTHAL: They had no precautions
17 about carrying metal bars and things such as this.

18 MR. VORDERBRUEGGEN: No.

19 MR. ROSENTHAL: Was smoking in fact taking
20 place or ever took place at that site?

21 MR. VORDERBRUEGGEN: There were "no
22 smoking" signs posted. The management and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 employees reported to us that they avoided smoking in
2 the area, because, again, they recognize there is some
3 level of flammability.

4 MR. ROSENTHAL: Okay. So they did --

5 MR. VORDERBRUEGGEN: But they did have --
6 there were challenges to that -- in that little
7 office, which is only ten, 15 feet away from where the
8 unloading's going on, they were smoking. There was
9 smoking going on in that office.

10 MR. ROSENTHAL: And last question: Are
11 there any other instances in which this practice led
12 to a fire?

13 MR. VORDERBRUEGGEN: Unloading of BS&W or
14 waste liquid --

15 MR. ROSENTHAL: Or hauling it or spilling
16 it or --

17 MR. VORDERBRUEGGEN: We did not find any
18 evidence in industry that links -- a parallel. There
19 was evidence in industry where diesel engines are
20 involved in flammable liquid ignitions. Some of those
21 included gasoline spills at a gas station, there was
22 an incident that occurred late spring this year, a few

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hours north of where this incident occurred where they
2 were doing a pigging operation. Flammable vapors
3 found a diesel engine and destroyed all the equipment
4 and the like.

5 MR. ROSENTHAL: Thank you.

6 CHAIRPERSON MERRITT: If I might, I have a
7 couple of questions. One of the things you raised in
8 your root -- or in your causes is a failure to account
9 for or take care of static electricity charges, but
10 yet you don't mention that as or you don't contribute
11 that as a cause of that incident. Why have you
12 included as part of your root cause?

13 MR. VORDERBRUEGGEN: The statement
14 discussing not providing static control supports the
15 argument in the root cause that BLSR did not have
16 management practices in place to avoid creating
17 hazardous situations. So it's really a reinforcement
18 of the root cause position statement of fact that they
19 did not ground the trucks.

20 CHAIRPERSON MERRITT: There are more
21 things that need to be controlled besides static
22 electricity. There is smoking --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. VORDERBRUEGGEN: Yes, ma'am.

2 CHAIRPERSON MERRITT: -- and explosion
3 proofing and things like that.

4 MR. VORDERBRUEGGEN: Yes.

5 CHAIRPERSON MERRITT: So that one
6 statement doesn't -- does that mean that you feel that
7 static electricity is an ignition source or was an
8 ignition source?

9 MR. VORDERBRUEGGEN: Static electricity is
10 a credible ignition source, but the preponderance of
11 the evidence drives right to the diesel engines being
12 the actual ignition source. But static is a credible
13 ignition source.

14 CHAIRPERSON MERRITT: Okay. But there are
15 others that could be as well.

16 MR. VORDERBRUEGGEN: Yes.

17 CHAIRPERSON MERRITT: So just controlling
18 static isn't going to necessarily control all the
19 other possible ignition sources.

20 MR. VORDERBRUEGGEN: Correct.

21 CHAIRPERSON MERRITT: Okay. Can you tell
22 me who owned those tanks from which the BS&W was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 withdrawn?

2 MR. VORDERBRUEGGEN: As far as the legal
3 term, "ownership," I won't venture on that, but the
4 operator who had responsibility for the two well
5 sites, each of those had two tanks containing
6 condensate, is Noble Energy. So they had
7 responsibility as the operator and the permit holder
8 through Texas Railroad Commission to operate the well
9 sites and all equipment on those well sites. That was
10 done normally through contractors on a routine day-to-
11 day basis.

12 CHAIRPERSON MERRITT: Who owned the
13 product?

14 MR. VORDERBRUEGGEN: Well, Noble Energy
15 gets the money, I'm assuming. Noble Energy and their
16 partners. There's two other parties that are part
17 owners with Noble Energy, and Noble Energy has the
18 responsibility, as I understand it through their
19 contractual agreements with the other two partners,
20 that they operate the well sites.

21 CHAIRPERSON MERRITT: One of the things I
22 see, and like you, John, I mean I've been in industry

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 a long time, and if I have two dissimilar materials
2 that I'm trying to separate and it's going to -- I'm
3 going to lose money, I would certainly design a
4 different tank. What is the -- what do you think the
5 contributing factor of having a tank like this in an
6 operation where you want to remove waste and separate
7 it from valuable product? Is that not a -- would that
8 not be a concern as well?

9 MR. VORDERBRUEGGEN: It's interesting in
10 that there are some well sites that are generating
11 condensate or crude oil, because crude oil -- a crude
12 oil well operates in a similar mode where they put the
13 crude oil in a storage tank and then the crud settles
14 to the bottom. Some of those that the rate of
15 generation of BS&W is very, very low and you could go
16 months and months and months and never get near the
17 nozzle, the product draw nozzle, which is only 12
18 inches up off the bottom of the tank. So you could go
19 many, many months and not have a problem. Then other
20 well sites, and possibly a new well site, that BS&W
21 may be generating fairly rapidly which forces you to
22 remove more frequently.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 But as you can see in the description of
2 the incident, we're talking fairly low volumes if ten
3 inches is the limit. Ten inches is 16.7 barrels, to
4 be exact. It would be nice and a simple thing that
5 would reduce the probability of pulling condensate
6 would be to raise that nozzle, make it 24 inches.
7 You've got 18 more feet of storage capacity up there.

8 So for a well that generates a lot of BS&W and
9 requires a frequent drawdown, you could move that
10 nozzle up.

11 CHAIRPERSON MERRITT: Okay. Tank
12 configuration is definitely a contributing factor to
13 the impossibility, as I'm hearing you, of actually
14 drawing out clean BS&W.

15 MR. VORDERBRUEGGEN: That's true, and
16 these tanks have been around forever, and that's part
17 of the problem.

18 CHAIRPERSON MERRITT: The BS&W that is
19 generated in gas fields would you characterize as
20 different from that which might come from, say, heavy
21 crude production?

22 MR. VORDERBRUEGGEN: I'd be stepping a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 little bit out on a limb, but the condensate in a gas
2 field I think is typically characteristically more
3 flammable than crude oil. Not always but in general
4 it's going to be, and since the BS&W is coming right
5 from that material because it settles out of it, it's
6 characteristic is probably going to tend to be more
7 flammable in a condensate -- in a gas well than it
8 will be in a crude well. But that's not a global
9 think you could ever --

10 CHAIRPERSON MERRITT: So even if I drew
11 the purest possible sample of BS&W, your tests
12 indicate that it's highly flammable?

13 MR. VORDERBRUEGGEN: Given enough time it
14 won't be, because the hydrocarbon will leave the BS&W
15 over time. But time is of the essence, so they can't
16 let it sit there indefinitely. But if you let it sit
17 long enough, it will lose its flammability
18 characteristic and become -- fall outside of the range
19 of concern. But that's not a practical solution.
20 Time delay is not a practical solution.

21 CHAIRPERSON MERRITT: I'm not trying to
22 solve the problem, what I'm trying to do is figure out

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 what the BS&W in gas field generation is likely to be.

2 Is there a solubility factor for the condensate in
3 the BS&W or is it emulsified so that it's -- you know,
4 I mean I've seen layers where you can't get a clean
5 separation and therefore it's impossible to really
6 separate these materials. So you're always going to
7 have some condensate that's going to be mixed with the
8 BS&W which will affect its flammability.

9 MR. VORDERBRUEGGEN: And that is true,
10 and, again, it's dependent on the temperature. In the
11 winter, it's going to be probably a little bit more
12 hazardous in the BS&W than in the summer because the
13 high temperature of the liquid contents promotes
14 migration out of the BS&W, this hydrocarbon. So in
15 the hot summer months, the BS&W may be less hazardous
16 than in the dead of winter even in Texas.

17 CHAIRPERSON MERRITT: So the producer's
18 responsibility is to characterize the material that
19 they are producing to give information to their
20 employees, to contractors and to people who would be
21 hauling this material away. My question is would you
22 -- can you generalize on a material safety data sheet

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 to indicate that it's probable that this material is
2 flammable?

3 MR. VORDERBRUEGGEN: Typical MSDS sheet,
4 material safety data sheet, will identify a range of
5 flammability, i.e. a range of flash points. It could
6 say anywhere from minus 20 to plus 200, and of course
7 the two trigger points that we have to be concerned
8 about is 100 and 141, depending on what -- whether
9 we're talking OSHA or DOT. So it is common to have
10 that range, and that may be the safe thing for the
11 shipper/hauler, the operator of the well site to put a
12 range in there, and that puts the truck driver, the
13 hauler on notice that what he's putting in his truck
14 may have a flammability category that requires special
15 handling.

16 CHAIRPERSON MERRITT: Okay. Dr. Poje?

17 MR. POJE: No, that's fine.

18 CHAIRPERSON MERRITT: Okay. Dr.
19 Rosenthal?

20 MR. ROSENTHAL: In your experience, John,
21 in industry, I know in mine, is this an unusually
22 difficult separation problem or is this something that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 secondary -- draining into a secondary tank, allowing
2 with greater height or any one of a number of things
3 that have been done in industry to separate these
4 materials cleanly?

5 MR. VORDERBRUEGGEN: Certainly, you could
6 spend the money to have a much more effective
7 separation process upstream, but that, again, isn't a
8 practical answer to the oil and gas industry.

9 MR. ROSENTHAL: Okay.

10 MR. VORDERBRUEGGEN: The practical --

11 CHAIRPERSON MERRITT: It's not up to us to
12 solve the problem.

13 MR. ROSENTHAL: Right. Okay.

14 CHAIRPERSON MERRITT: What it is it's up
15 to us to determine what the root cause is and what the
16 contributing causes are and make recommendations to
17 try to prevent this from happening again. So that's
18 where we need to try to go. Is there any other
19 questions at this time? I'd like at this time then to
20 open the floor -- thank you, John. Oh, I'm sorry,
21 recommendations.

22 MR. VORDERBRUEGGEN: You want to go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 through the recommendations?

2 CHAIRPERSON MERRITT: Yes. Thank you.

3 MR. VORDERBRUEGGEN: Okay. Get down here
4 and find them. Okay. With that, let me go through
5 the recommendations that we have that the staff is
6 recommending for action by various parties involved in
7 this incident or involved in the regulation of
8 exploration and production waste materials. The first
9 recommendation that we have identified is to Noble
10 Energy. Provide documentation of the potential
11 flammability hazard of exploration and production
12 waste liquids, such as the use of a material safety
13 data sheet, to all employees, contract personnel and
14 haulers handling waste liquids generated at the well
15 sites. Emphasize that mixing condensate with BS&W
16 during the removal process can significantly increase
17 that flammability hazard. The mixture in the
18 transport container should be treated as a flammable
19 liquid absent any positive identification to the
20 contrary.

21 Second recommendation is to Noble Energy.
22 Review and revise the Company gauging and waste

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 liquid removal protocols as necessary to minimize
2 inadvertent removal and subsequent disposal of
3 hydrocarbon product when removing basic sediment and
4 water from product storage tanks. Again, we recognize
5 the Noble doesn't physically do this activity at the
6 well site. That's contracted out through various
7 parties. However, Noble can establish some minimum
8 practices and impose those, that's the right word,
9 impose those on their contractors and expect the
10 contractors to conform.

11 The next recommendation is to T&L
12 Environmental Services. They are the waste hauler in
13 this incident. Ensure that the written procedures for
14 hazard identification require that all customers
15 requesting loading and transportation of E&P waste,
16 exploration and production waste liquids, provide that
17 written notification such as using a material safety
18 data sheet that lists the potential flammability
19 hazard of the waste material that they're asked to
20 haul.

21 Recommendation Number 2 to T&L
22 Environmental Services, ensure that the written

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 procedures for safe operation of their vacuum trucks
2 incorporate applicable good practices, including
3 techniques to minimize the possibility of exposing the
4 diesel engines to flammable vapor. Specifically, we
5 recommend that they use API 2219, which is titled,
6 "Safe Operation of Vacuum Trucks in the Petroleum
7 Industry."

8 The third recommendation to T&L
9 Environmental Services, develop written operating
10 procedures that incorporate best practices for
11 unloading storage tank waste liquids, such that the
12 drivers accurately measure the quantity of liquid
13 removed from that storage tank and minimize the
14 removal of product such as flammable condensate.

15 Recommendation Number 4 to T&L
16 Environmental Services, ensure that written emergency
17 procedures address the safe response to abnormal
18 diesel engine operation due to a flammable vapor
19 atmosphere. Explain that the normal engine shutoff
20 method will not function as long as that flammable
21 vapor continues to enter the intake system.

22 The fifth recommendation to T&L

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Environmental Services, conduct and document training
2 for all personnel who handle the waste liquids at the
3 facility with their trucks using languages or formats
4 that are clearly understood by the affected personnel.

5 The training must address the potential flammability
6 hazard associated with exploration and production
7 waste liquids, emphasizing how the withdraw procedure
8 is likely to increase the flammability limit of the
9 vacuum truck contents through unavoidable mixing of
10 product in BS&W. Describe operating an emergency
11 response to the diesel engine overspeed that is caused
12 when flammable vapor is ingested.

13 First recommendation to BLSR Operating,
14 the waste disposal facility operator. Develop a
15 written waste acceptance plan, as recommended by
16 American Petroleum Institute Order G00004, which is
17 titled, "Guidelines for Commercial Exploration and
18 Production Waste Management Facilities." Require that
19 the shipper or carrier properly classify the
20 flammability hazard of the exploration and production
21 waste liquids. Require that the carrier provide
22 information such as an MSDS that identifies the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 flammability hazard of the material before accepting
2 the load for disposal.

3 Second recommendation to BLSR Operating,
4 develop and implement written procedures and provide
5 training to the employees on the safe handling of all
6 waste liquids delivered to the facility in accordance
7 API Order G, four zeros and a 4, "The guidelines for
8 Commercial Exploration and Production Waste Management
9 Facilities," and the American Petroleum Institute
10 recommended practice, 2219, "Safe Operation of Vacuum
11 Trucks in Petroleum Service." BLSR does conduct
12 activities related to the unloading of those trucks as
13 well as disposal of the waste. Include requirements
14 for proper grounding of the trucks and eliminating
15 other sources of ignition, such as the electrical
16 equipment in the area, control smoking in the
17 unloading areas. And ensure that the material is
18 presented in language or formats that are clearly
19 understood by all affected personnel. BSLR has non-
20 English speaking employees. They need to understand
21 clearly what is being addressed.

22 Recommendation Number 3 to BLSR Operating,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 develop written procedures for and provide training to
2 employees on unloading all flammable or potentially
3 flammable exploration and production waste liquids.
4 Avoid unloading flammable liquids into an open work
5 area such as the mud disposal and washout pad.
6 Include alternative unloading methods, such as using a
7 closed piping system and minimize vapor generation.
8 Ensure that the material is presented in a language
9 and format clearly understood by all personnel.

10 Fourth recommendation to BLSR, develop
11 written emergency procedures and provide training to
12 the employees on the response to abnormal diesel
13 engine operation and emergency situations, including
14 uncontrolled vapor releases that could result in a
15 fire or explosion hazard. Again, ensure that the
16 material is presented in languages and formats that's
17 clearly understood by all personnel working at the
18 facility in the area.

19 Next recommendation is to the U.S.
20 Department of Transportation. Publish an information
21 document on the exploration and production -- for
22 exploration and production industry employers that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 includes producers, shippers, offerors, motor carriers
2 and disposal facility operators that are involved in
3 the transportation of BS&W and other waste liquids on
4 public highways. In that publication, emphasize the
5 importance of and the responsibility for properly
6 classifying and identifying flammable waste liquids.
7 Reference the OSHA requirements for obtaining the
8 material safety data sheet from the shipper and the
9 required content of their DOT shipping papers. And
10 include specific reference to this CSB investigation
11 report and the American Petroleum Institute
12 recommended practices that are cited in our report.

13 The next recommendation is to the United
14 States Occupational Safety and Health Administration.

15 Issue a safety and health information bulletin on the
16 potential flammability hazards associated with bulk
17 transportation of oil field exploration and production
18 waste liquids. Summarize the OSHA requirements for
19 proper hazard classification by the shipper and the
20 use of material safety data sheets. Summarize the DOT
21 requirements for hazard classification and the
22 documentation for their flammable liquids. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 approve container design and periodic testing provided
2 in the DOT regs.

3 Discuss safe handling to minimize the
4 generation of the flammable vapor and to control
5 ignition sources from vehicle-mounted equipment and
6 facility equipment. And, finally, summarize the
7 requirements for proper labeling of storage tanks at
8 the well sites and the like to clearly identify the
9 hazard of the contents to all employees and
10 contractors working at the well site.

11 Next recommendation is to the Texas
12 Railroad Commission, the regulators overseeing the
13 activities. Require that all permitted drillers and
14 producers identify and document through the use of an
15 MSDS, for example, the potential flammability hazard
16 of exploration and production waste liquids. It
17 should be provided to the workers and contractors,
18 again, in languages clearly understood by the
19 recipients, and that's throughout the state.

20 Second recommendation to the Railroad
21 Commission, Texas Railroad Commission, provide
22 information such as a safety bulletin or other

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 technique to industry on the potential flammability
2 hazard associated with basic sediment and water, BS&W,
3 and other exploration and production waste liquids.
4 Waste liquids can contain sufficient hydrocarbons to
5 be classified as a flammable liquid, classified
6 specifically meaning DOT or OSHA. The waste liquid
7 removal method can result in removal of significant
8 quantities of flammable hydrocarbon products such that
9 the mixture in the transport container may require
10 classification as a flammable liquid under DOT and/or
11 OSHA regulations, independent of what it was in the
12 storage tank.

13 Next recommendation is to American
14 Petroleum Institute. We recommend that they revise
15 API RP 2219, The Safe Operation of Vacuum Trucks in
16 the Petroleum Service, and revise API Order G00004,
17 Guidelines for commercial exploration and production
18 waste management facilities, to discuss the hazards of
19 unloading potentially flammable or flammable liquids
20 into open unloading areas, such as a concrete pad.
21 Recommend other alternatives for minimizing vapor
22 generation, such as unloading flammable liquids into a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 closed piping system.

2 Second recommendation to the American
3 Petroleum Institute, communicate the findings and
4 recommendations of this CSB report to your membership.

5 Emphasize that basic sediment and water removed from
6 crude oil and condensate storage tanks requires
7 special handling and compliance with DOT and/or OSHA
8 regulations if it contains sufficient hydrocarbons,
9 either residual or mixed in during the removal
10 process, such that it be classified a flammable liquid
11 as defined in each regulation.

12 And the last recommendation that the staff
13 proposes to the Board for consideration is to the
14 National Tank Truck Carriers. This organization I
15 haven't mentioned yet but they are an association of
16 about 180 trucking companies throughout the United
17 States. They are lobbyists for the trucking industry,
18 and they also provide safety guidance and training
19 programs and the like to the bulk trucking industry.
20 We recommend that they communicate the findings and
21 recommendations of this CSB report to their
22 membership. Emphasize the emergency response to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 diesel engine overspeed that is caused by exposure to
2 flammable vapor atmospheres. And that concludes the
3 recommendation portion of the presentation.

4 CHAIRPERSON MERRITT: Thank you, John. At
5 this time, then, are there any questions from the
6 Board concerning recommendations? I have one. On
7 your -- oh, it's not on the recommendations, no. I
8 think your recommendations are fine. At this time,
9 thank you, John, very much. Oh, I'm sorry, Jerry,
10 yes?

11 MR. POJE: Just give me some
12 clarification, John, on the previous activities in the
13 Department of Transportation and the Occupational
14 Safety and Health Administrations with the development
15 of information bulletins? Is this a task that they
16 have done in the past and utilized to improve the safe
17 operations?

18 MR. VORDERBRUEGGEN: Yes. Both agencies
19 do have mechanisms in place to publish this type of
20 information and emphasize key points related to
21 previously unknown hazards or areas that need
22 reemphasizing and the like. So they have protocols in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 place to do this.

2 MR. POJE: There's important non-
3 regulatory information outreach, if you will --

4 MR. VORDERBRUEGGEN: Yes.

5 MR. POJE: -- of such federal agencies.

6 Thank you.

7 MR. BRESLAND: Just a clarification point,
8 John. Noble Energy Recommendation Number 1 requires
9 documentation of the potential flammability of the
10 hazards of E&P waste liquids, which is a specific
11 recommendation to one company, Noble Energy.

12 MR. VORDERBRUEGGEN: Yes.

13 MR. BRESLAND: Texas Railroad Commission
14 Recommendation Number 1 is basically a similar
15 recommendation but that would be to the totality of
16 the industry --

17 MR. VORDERBRUEGGEN: To all permit holders

18 --

19 MR. BRESLAND: -- in Texas.

20 MR. VORDERBRUEGGEN: -- in the state of
21 Texas.

22 MR. BRESLAND: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON MERRITT: Thank you. At this
2 time -- thank you, John.

3 MR. VORDERBRUEGGEN: Thank you.

4 CHAIRPERSON MERRITT: At this time, I
5 would invite any members of the public who would like
6 to speak on the BLSR incident to step forward. I have
7 one name that has been registered. If you would like
8 to speak, you may still do so by registering with Ms.
9 Spiers. Bill Poillion? Poillion. Sorry, my French
10 isn't very good. Would you please state your name and
11 your affiliation?

12 MR. POILLION: Yes, ma'am. I am Bill
13 Poillion, Senior Vice President, Production and
14 Drilling for Noble Energy in Houston, Texas. Good
15 morning, Madam Chairman and members of the Board. We
16 heard today about a very tragic accident. Our company
17 is committed to safety, and we have dedicated our
18 people and resources to helping your Board investigate
19 this accident fully. We support the Board's mission;
20 however, information obtained from outside experts and
21 an investigation conducted by others revealed that the
22 Board's investigation missed important facts and drew

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 erroneous conclusions. The omission of these facts
2 and erroneous conclusions seriously undermines the
3 investigators' findings about the root cause of the
4 accident.

5 In our view, the Chemical Safety Board
6 incorrectly cited the failure to identify the
7 flammability hazard of BS&W as a root cause of this
8 accident. The real cause of this accident was that
9 the truck engines were left running. Anyone who has
10 ever been to a gas station knows you just don't do
11 that. What makes it worse was that the trucks were
12 not outfitted with a safety device commonly installed
13 on diesel engines. This simple device prevents the
14 engines from overracing when a fuel supply is present.

15 It was a spark from an engine overracing and
16 backfiring that caused this horrible accident. That
17 spark was the root cause.

18 To prevent these types of accidents,
19 truckers must be better equipped, drivers must be
20 better trained, and disposal sites just be made safer.

21 It was reasonable for us to expect safe practices to
22 be followed. We contracted with an experienced,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 permitted and independent trucking company and
2 disposal site. Now we are requiring trucking
3 companies and disposal sites to certify their
4 practices to us.

5 Your report is not only incorrect about
6 the root causes, it fails to acknowledge the
7 significance of other potential causes. The source of
8 the flammable vapors caused in this accident is not
9 conclusive. Other fluids were delivered before the
10 trucks arrived, samples taken from the pit area where
11 the fire occurred indicate the presence of flammable
12 materials that did not come from our well site.

13 A central focus of the report is a
14 requirement placed on shippers of potentially
15 flammable materials. Under federal law, there can be
16 multiple shippers involved in transporting materials,
17 each having independent responsibility. However, the
18 Board's investigators simply identified a single
19 shipper and ignored the substantial responsibility
20 that other parties had in identifying, preparing and
21 transporting the BS&W.

22 We will seriously consider the Board's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations, but I want you to know that we have
2 already acted to substantially lower the risk of this
3 type of accident from occurring again. For example,
4 we have implemented changes that will require fewer
5 pick-ups to remove waste materials. Our hearts go out
6 to the injured parties and their families. They are
7 our neighbors, and we care about people in our
8 community.

9 For more than 70 years, contractors have
10 safely disposed of BS&W from thousands of our well
11 sties, in Texas and across the U.S. Our company has
12 been recognized for its record of workplace safety
13 many times. Most recently, we were honored to be
14 nominated by the Bureau of Land Management for its
15 best practices award, and we received both the good
16 corporate citizen award and the safety award for
17 excellence from the Minerals Management Services.

18 In conclusion, we want to emphasize again
19 our support for the Board's mission, and we pledge to
20 you that we will continue our efforts to increase the
21 safety of all oil field operations. Thank you.

22 CHAIRPERSON MERRITT: Thank you, Mr.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Poillion. Are there any other comments at this time?

2 If not, then I'd like to take a short break. Let's
3 try to reconvene in 15 minutes, please, in this room
4 for discussion and vote.

5 (Whereupon, the foregoing matter went off
6 the record at 11:04 a.m. and went back on
7 the record at 11:16 a.m.)

8 CHAIRPERSON MERRITT: At this time, I
9 would open the floor to the Board and I'd ask you to
10 raise your hands so that I can recognize you. And,
11 John, if you would be willing to answer any other
12 questions that the Board might have. Yes, Dr. Taylor?

13 MS. TAYLOR: John, just a follow up in
14 response to the public comment that we heard. How do
15 you go about identifying what a root cause actually
16 is, particularly in this investigation?

17 MR. VORDERBRUEGGEN: Okay. It's important
18 to understand the definition of a root cause, of
19 course. A root cause is a management deficiency that
20 resulted or that allowed a causal factor to occur.
21 Causal factors are those things such as diesel engine
22 overspeeds, equipment malfunctions, human error.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Those types of things are what we define as causal
2 factors. And, of course, the diesel engine overspeed
3 is a very important causal factor. We concluded it
4 was the probable ignition source. But a root cause is
5 a management system deficiency that allowed the causal
6 factor to occur. So that's really the difference in
7 definition and why we identified those management
8 systems as being root causes.

9 MS. TAYLOR: Okay.

10 MR. VORDERBRUEGGEN: Okay?

11 CHAIRPERSON MERRITT: Doctor, did you have

12 --

13 MS. TAYLOR: I think I understand.

14 CHAIRPERSON MERRITT: Okay.

15 MS. TAYLOR: Okay. Thank you.

16 CHAIRPERSON MERRITT: Are there any other?

17 John?

18 MR. BRESLAND: Just one question on the
19 process that we use for coming to where we are today.

20 Have the parties involved in this had an opportunity
21 to review the report with you and have some comments,
22 feedback on the report?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. VORDERBRUEGGEN: Yes. They -- all
2 three companies, BLSR, T&L and Noble Energy, were
3 provided with the body of the report and commented on
4 the body of the report as well as we presented the
5 recommendations to them in meetings with them, and we
6 discussed our preliminary recommendations prior to
7 today.

8 MR. BRESLAND: Thank you.

9 CHAIRPERSON MERRITT: One of the things
10 that I feel came out very strongly in your report is
11 the -- from your definition of a root cause is the
12 strong cause of T&L not characterizing what was being
13 hauled in their truck. It was decidedly the next link
14 in the chain that allowed this to happen.

15 MR. VORDERBRUEGGEN: Yes.

16 CHAIRPERSON MERRITT: Because even if the
17 MSDS for BS&W had been obtained from Noble, their --
18 the way that material is sucked into the truck they
19 can't guarantee they're getting BS&W, and so there are
20 materials in that truck that added to its
21 flammability. And that might be true no matter what
22 they were doing if they went to another location or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 anything else, that it would be their responsibility
2 to characterize what's in their truck for proper
3 shipping papers and things like that; isn't that
4 correct?

5 MR. VORDERBRUEGGEN: Yes. T&L
6 Environmental Services does have the duty and
7 responsibility under DOT regulations to know what is
8 in their truck before they put it on a public highway.

9 CHAIRPERSON MERRITT: Okay.

10 MR. VORDERBRUEGGEN: And their process
11 influences that.

12 CHAIRPERSON MERRITT: And we have that or
13 you have suggested this or put this as a contributing
14 cause, and what I would like to do is make this a root
15 cause along with the BS&W as well as the Noble Energy
16 root cause.

17 MR. VORDERBRUEGGEN: You mean BLSR.

18 CHAIRPERSON MERRITT: BLSR -- thank you --
19 root cause so that there are really three links in the
20 chain as causes.

21 MR. VORDERBRUEGGEN: I have no problem
22 with that at all.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. BRESLAND: Just for clarification,
2 which slide number is that?

3 CHAIRPERSON MERRITT: I'm sorry, Slide 37

4 MR. BRESLAND: Okay.

5 CHAIRPERSON MERRITT: And how I would
6 suggest that we change it would be that T&L did not
7 obtain a BS&W material safety sheet or characterize
8 the contents of what was being hauled. So that's how
9 I would like to modify that. I don't have exactly the
10 right words, but we can do that as amended.

11 MR. VORDERBRUEGGEN: Yes. We'll make
12 those changes based on your recommendation, and we'll
13 incorporate that into the final report prior to
14 publishing it.

15 CHAIRPERSON MERRITT: Okay. All right.
16 Thank you. I think that would mostly be like an
17 editorial type of change if everyone has no objections
18 to making that. And I bring this up now because if I
19 call for the motion, then I would be asking that the
20 motion also understandably includes that there be this
21 modification made.

22 MR. POJE: I looked at this as well, and I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 agree that there are three important parties that have
2 had a role in this incident. And moving this to a
3 root cause is very acceptable to me.

4 CHAIRPERSON MERRITT: All right. Then
5 with that, I would like to ask if there is a call for
6 the motion or should we proceed to a motion? Is there
7 anyone who would like to make a motion concerning
8 accepting the report?

9 MR. BRESLAND: Madam Chair, I'd like to
10 make a motion that we approve the CSB staff
11 investigative report, BLSR Report Number 2003-06-1-TX
12 and the recommendations regarding that incident at
13 BLSR Operating, Limited on January 13, 2003.

14 CHAIRPERSON MERRITT: Is there a second?

15 MR. POJE: I second it with the, again,
16 repeat of the proviso --

17 CHAIRPERSON MERRITT: Right.

18 MR. POJE: -- that we're moving to the
19 change to the root cause as opposed to contributing
20 cause for T&L.

21 CHAIRPERSON MERRITT: Would you -- so when
22 I read it back would you make sure that that's read

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 properly?

2 MR. PORFIRI: Yes.

3 CHAIRPERSON MERRITT: At this time, I open
4 the floor for any discussion between Board members.

5 If you would, raise your hand and I'll recognize you.

6 Yes, Dr. Rosenthal?

7 MR. ROSENTHAL: Yes. There were
8 interesting points raised by comment during the public
9 hearing by Noble Energy, but I think that the body of
10 the report addressed those concerns. No question that
11 had the various parties taken certain actions we would
12 not have had that incident, because you need three
13 things: You need a fuel, you need a source of
14 ignition, and you need oxygen. Well, oxygen we had
15 because they were doing it in open pits. The fuel we
16 had in that tank. The source of ignition, if it was
17 not the truck, could easily have been one thing or
18 another. There's a statement and that's why people
19 act that way. If you have fuel and you have oxygen,
20 the source of ignition will find you. So I
21 appreciated the comments from Noble Energy, but I
22 think that given the context of the discussions and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the body of the report, I'm comfortable with the
2 Board's report and intend to -- I mean with the
3 staff's report and intend to approve it.

4 CHAIRPERSON MERRITT: Any other questions
5 or comments or discussion?

6 MR. POJE: I concur with those comments.

7 CHAIRPERSON MERRITT: Then at this time,
8 I'd like to read the -- bring the question and we will
9 ask then for a vote. The motion then would be to
10 approve the CSB staff investigative report, BLSR
11 Report Number 2003-06-1-TX, and the recommendations
12 regarding an incident at BLSR Operating, Limited on
13 January 13, 2003 with a change proposed by the Chair
14 that T&L be changed from a contributing cause to a
15 third root cause of this incident. If that is
16 properly read, then I would like to ask, Dr. Taylor,
17 how do you vote?

18 MS. TAYLOR: I approve.

19 CHAIRPERSON MERRITT: And, Dr. Rosenthal?

20 MR. ROSENTHAL: I approve.

21 CHAIRPERSON MERRITT: Dr. Poje?

22 MR. POJE: I approve.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON MERRITT: Mr. Bresland?

2 MR. BRESLAND: I approve.

3 CHAIRPERSON MERRITT: And I also approve.

4 So the motion is then carried unanimously. Thank
5 you, John and the investigative staff for your efforts
6 in this and the production of the report and the good
7 work that you did. Thank you, everybody.

8 At this time, I would like to introduce
9 the second case that we are going to take. This is a
10 case study, and the lead investigator on this was
11 Angela Blair who graduated with a degree in chemical
12 engineering from Auburn University, 1982. She's a
13 registered professional engineer. And will you
14 introduce Mr. Banks?

15 MS. BLAIR: Yes, Madam Chairman. I'll
16 introduce him when it's his portion of the program.

17 Thank you, Madam Chair, Board members, Mr.
18 Porfiri, Mr. Jeffers, ladies and gentlemen. This is a
19 case study report of an investigation into an incident
20 that involved an exposure to hydrogen sulfide gas
21 which occurred at the facilities of Environmental
22 Enterprises, Incorporated in Cincinnati, Ohio on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 afternoon of December 11, 2002.

2 This is a photograph of the waste water
3 treatment process that is located within a building at
4 the Environmental Enterprises facility on Spring Grove
5 Avenue in Cincinnati. I will be explaining what you
6 see in this photo when it comes up later in the
7 presentation.

8 The bare facts of the incident are: On
9 December 11, 2002, an employee of Environmental
10 Enterprises was exposed to the toxic gas hydrogen
11 sulfide, or H₂S. This employee was rendered
12 unconscious but after being rescued from the immediate
13 area, he began breathing on his own and fully
14 recovered. There were no other injuries.

15 Environmental Enterprises, Incorporated,
16 or EEI, is a hazardous waste treatment storage and
17 disposal facility. Individuals who are in the know in
18 environmental regulations would call this a TSD
19 facility. Environmental Enterprises takes household
20 waste, light industrial and laboratory hazardous waste
21 and collects those wastes. They also provide
22 transportation, treatment and disposal of these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 miscellaneous household wastes or hazardous wastes.
2 Environmental Enterprises, Incorporated is known to
3 many people in Cincinnati because they have
4 participated with the City of Cincinnati on drives to
5 collect household hazardous waste.

6 In addition to the waste treatment
7 storage, transportation and disposal operations,
8 Environmental Enterprises also performs on-site
9 remediation of hazardous chemical spills and HAZMAT
10 response to small scale hazardous chemical releases.

11 Now, some people may be wondering why
12 would the Chemical Safety Board deploy investigators
13 to such a seemingly minor incident. Well, it just so
14 happened that the occurrence of this incident
15 coincided with a study that the Chemical Safety Board
16 had initiated that involved toxic gas releases around
17 industrial waste treatment systems and industrial
18 sewers. So we were -- you could say our radar was
19 tuned to this kind of incident.

20 We had heard about it and believed that
21 this incident would be an interesting case study for
22 that toxic gas hazard review. So two CSB

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigators, myself and Johnny Banks, whom I'll
2 introduce in a moment, arrived on the site on December
3 18 of 2002. In addition to the Chemical Safety Board
4 investigators, there were also investigators on site
5 for Region 5 for the Occupational Safety and Health
6 Administration and for the Ohio Environmental
7 Protection Agency. We were later to learn that
8 investigators from the City of Cincinnati Office of
9 Environmental Management as well as the Cincinnati
10 Fire Department Office of Environmental Crimes were
11 involved in investigating this incident.

12 Now, I'd like to give you just a little
13 brief description on the fairly simple waste water
14 treatment process at Environmental Enterprises,
15 because this is integral into the events that set up
16 the incident. At EEI, waste water is collected from
17 various different off-site sources. That waste water
18 is consolidated into a tank and then tested to
19 determine what treatment protocol is necessary.
20 Depending on the contaminants that are in the waste
21 water, various chemicals are added to either
22 neutralize the waste, that is to adjust the Ph toward

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the neutral zone, which neutral is defined as a Ph of
2 7, to neutralize the waste and/or remove those
3 contaminants.

4 After the chemical treatment, the solids
5 that are already existing in the waste as well as
6 solids formed by the reactions to remove contaminants
7 settle to the bottom, and then further filtering takes
8 the solids that are entrained in that waste water out
9 of the material. After final testing, the treated
10 waste is discharged into the Cincinnati Municipal
11 Sewer System if all of the contaminants that are
12 measured are within the acceptable limits for the City
13 permit.

14 This is a very simplified diagram of the
15 waste water treatment process at Environmental
16 Enterprises. And I say very simplified diagram but
17 this is pretty reflective of what's in the plant, and
18 it's a very simple process. This is where the water-
19 based waste, or aqueous or waste water, is
20 consolidated from all of those different sources --
21 household hazardous waste, light industrial hazardous
22 waste, laboratory waste. Rather than flush that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 material down the sewer of the laboratory, we collect
2 it; Environmental Enterprises would dispose of it.

3 So all those materials are collected and
4 brought into a tank. This is where it's tested.
5 What's in this stuff and how do we treat it to get it
6 to where we can discharge it? It then goes into the
7 treatment tank. This treatment tank is equipped with
8 a vent -- is an enclosed vessel, has a vent scrubber
9 that removes any toxic vapors that might be generated,
10 and then the vapors are vented to the atmosphere.

11 After treatment, the waste water is
12 filtered and then put into a filtrate tank where it's
13 collected. Then it is sent into a clarifier. This is
14 an open-top vessel with a conical bottom. The design
15 of this vessel is intended to allow whatever remaining
16 solids that might not have settled out before this to
17 settle out. So this is a fairly large tank that just
18 gives time for the solution to settle out where the
19 solids are collected off the bottom. There is also at
20 this point the opportunity to take this material back
21 to the treatment tank if it requires retreatment.

22 Then the liquid part of this waste water,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the water itself is decanted or it's a way of pouring
2 the liquid off the top and leaving the solid in the
3 bottom, into the holding tank. At this point, it's
4 tested again. If all of the contaminants are within
5 the range specified in the City disposal permit, then
6 it's passed through one more filter just for good
7 measure and then discharged to the Cincinnati
8 Municipal Sewer System. From that point, it gets
9 treated along with all of the other materials that are
10 going into the municipal sewer.

11 Here's that same photograph I showed you
12 earlier of the waste treatment process. I know it's a
13 little bit dim. This is not a real bright room this
14 stuff is included in. But these two blue tanks that
15 you see here are the treatment tanks. This is where
16 the chemical addition is performed. And if you were
17 -- if this photograph were a little better, you would
18 be able to see the vents that are coming off the top,
19 and then those go outside the room to a vent scrubber.

20 Back off in the corner over here is a dark
21 green tank. That's our clarifier. It's going to play
22 an important role in this incident. This white vessel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 here is one of the two storage tanks. And that stuff
2 on the floor is water.

3 There are regulations that apply to the
4 operations at Environmental Enterprises, and I'm
5 strictly speaking about the waste water treatment
6 operations. I'm not going to address the other
7 hazardous waste treatment disposal and recycling
8 things that happen at that facility. The waste water
9 treatment facility is covered under the U.S.
10 Environmental Protection Agency's hazardous waste
11 regulations, and there are a number of those and we
12 chose not to list all of them here in this
13 presentation. In addition to that, as I mentioned
14 before, the City of Cincinnati operates a municipal
15 sewer and that municipal sewer district grants a
16 permit to Environmental Enterprises that specify what
17 they can discharge into that sewer system and what the
18 limits for contaminants are.

19 In addition to that, some OSHA regulations
20 apply in addition to all of the general working
21 condition regulations that OSHA has, in particular,
22 hazard communication, which is also referred to as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 HAZCOM. In the BLSR presentation, John mentioned the
2 statutory citation of 29 CFR 1910.1200. That's the
3 regulation that specifies that the information that
4 employers have to provide to employees about the
5 hazards of their workplace.

6 In addition to that, there are regulations
7 on hazardous waste operations, which this clearly is,
8 and emergency response. That would be emergency
9 response to hazardous waste operations. That's also
10 referred to quite often as HAZWOPER. We like our
11 acronyms in the government.

12 At this point, I'm going to turn the
13 podium over to Johnny Banks who will describe the
14 incident in a little more detail and go into the
15 causes and the findings. Mr. Banks attended the
16 University of California at Berkeley. He comes to the
17 Chemical Safety Board with 23 years of experience in
18 petroleum refining with the Chevron Corporation.
19 While at the Richmond Refinery for Chevron, Mr. Banks
20 was quite involved in health and safety programs with
21 the Pace International Union. He was also a key
22 member of the multifunctional, multidisciplinary team

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 that implemented the Triangle of Prevention Safety
2 Program that became very instrumental in helping the
3 Richmond Refinery take great strides forward in their
4 safety program. So he comes to the Chemical Safety
5 Board with a great wealth of practical and hands-on
6 experience. Mr. Banks?

7 MR. BANKS: Thank you, Angela. Madam
8 Chair, members of the Board, Mr. Porfiri, ladies and
9 gentlemen, the next portion of our presentation I'll
10 provide an overview of the incident description, the
11 causes and our findings over the course of our
12 investigation of events at Environmental Enterprises.

13 At the outset of this incident, the waste
14 water treatment operator was conducting normal
15 operations. He was doing a typical batch treatment of
16 waste water. After chemical treatment, filtering and
17 settling, a sample was taken on the waste water and
18 the results indicated high concentrations of mercury.

19 The treatment operator, as a result of these
20 findings, added sodium sulfide flake to the clarifier.

21 His intention here was to react the mercury with the
22 sodium sulfide flake to form a salt which would aid in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the settling process.

2 In this view, which is kind of dim, the
3 clarifier is captured right here. It's a vessel
4 that's approximately 15 to 20 feet tall, and you'll
5 note that there is a deck area that runs adjacent to
6 this tank. There's a stairway that provides access,
7 and it is from this level that the waste water
8 treatment operator would add the sodium sulfide
9 flakes. And over the course of this treatment that
10 created this event, there would be three 50-pound
11 sacks of sodium sulfide flake that would be added. As
12 Angela mentioned, you have the treatment tanks to the
13 right there and storage tank there to the left.

14 After the operator added the sulfide, the
15 waste water Ph was found to be too high. This was
16 after sampling the waste water. The operator added
17 highly acidic polyaluminum chloride to the solution in
18 an attempt to lower the Ph and to form larger
19 particles. This activity is called flocculating.
20 This would cause the solids in the waste water to
21 clump together and, again, aid in the settling
22 process. Due to the excess sodium sulfide in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 clarifier, this reacted with the added acid and formed
2 hydrogen sulfide gas, or H₂S. It's important to note
3 that the clarifier is an open-top vessel and as such
4 H₂S was released into the room.

5 Adjacent to this clarifier is the tool
6 storage area that the waste water treatment operator
7 used to store his tools. As the treatment was
8 ongoing, a mechanic entered the room to retrieve a
9 tool that the operator had borrowed. Through
10 interviews, he stated that as he approached the
11 clarifier, he began to have difficulty in breathing,
12 felt a burning sensation in his lungs and attempted to
13 evacuate the area. He progressed approximately 20
14 feet before collapsing in a walkway that provided
15 access to a separate part of the building. Other
16 employees entering the area to investigate the smell
17 of H₂S with an H₂S detector saw the mechanic lying in
18 the middle of the floor, put him to a safe area where
19 he began to breathe again and regain consciousness.

20 In this view, we tried to capture the path
21 of egress from the area and along this dotted line
22 there, beneath the stairway is the path that the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 mechanic took. The clarifier can be seen here. This
2 is the stairway to that deck area where the sodium
3 sulfide flake was added. And, again, we have the
4 storage tank. There is a path that extends to another
5 portion of the building that he was attempting to make
6 it to and it is in that area that his fellow employees
7 found him collapsed.

8 In looking at the incident cause of this
9 event, it was caused by performing chemical treatment
10 in the wrong vessel. The chemicals were added to the
11 clarifier, which, as was pointed out by Ms. Blair
12 earlier, is not designed for such treatment. This,
13 however, was a routine practice. The proper location
14 for chemical treatment would have been in the
15 treatment tanks, which are equipped with vent
16 scrubbers that are equipped to scrub the material
17 before it's routed to the atmosphere.

18 In this view, taken from the tank area,
19 you can see the open top to the clarifier. This would
20 be where the addition of the sodium sulfide would have
21 occurred. And as mentioned earlier, there were three
22 50-pound sacks of the material loaded there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 In using the diagram that Ms. Blair showed
2 you earlier, the normal flow, process flow would have
3 been from the feed tank, through the treatment tanks,
4 to the filter, filtrate tank and so on. As was the
5 case on this day, the chemicals were added here at the
6 clarifier, which is not equipped with a scrubber. By
7 rights, they should have been added here.

8 Our findings led us to the conclusion that
9 there were breaches of several managed systems. These
10 systems included procedures, training, hazard
11 communication with the work force, sharing of previous
12 incidents, mechanical integrity and management
13 oversight. I'll go over each of these points and
14 point out the features that make them important.

15 In the area of procedures, there were no
16 specific procedures established for waste water
17 treatment operations. These treatments were designed
18 on a batch-by-batch basis and in some cases were
19 determined by the sample results. On-site chemists
20 were not consulted on treatment protocols on a regular
21 basis.

22 In the area of training, operator training

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 was not -- the operator was not formally trained in
2 waste water treatment operations and chemical hazards.

3 In fact, the operator and management relied on his
4 personal knowledge to conduct waste water treatment
5 operations in a safe and efficient manner.

6 In the area of hazard communication, non-
7 operating personnel were not trained on the hazards of
8 H₂S or the significance of certain orders.
9 Consequently, they were not aware of the imminent
10 danger that would be inherent in the characteristic
11 rotten odor smell -- rotten egg smell associated with
12 H₂S. These odors were in fact considered a normal
13 part of the waste water treatment operations.
14 Finally, there were no warning signs of potentially
15 hazardous conditions in the waste water treatment
16 area.

17 In the area of previous incidents, a
18 previous H₂S release in 2001 resulted in an order from
19 the Cincinnati Office of Environmental Management that
20 Environmental Enterprises would install an H₂S
21 detector and dissolve sodium sulfide before addition
22 to the treatment process. In fact, the operator was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 not aware of this 2001 order from the OEM.

2 In the area of mechanical integrity, the
3 H2S detector was not working at the time of this
4 incident. There was no calibration and inspection
5 program in place. The calibrations were done on a
6 very casual, whenever needed basis with no record of
7 when or by whom these calibrations were done. In this
8 view, we have a shot of the H2S detector which if
9 working properly would have sounded an audible alert
10 and visual que that H2S is present in the area.

11 In the area of management oversight,
12 management and chemists were not consulted on a
13 regular basis on treatment protocol. Additionally,
14 there was little direct management oversight on waste
15 water treatment operations that we observed in our
16 investigation.

17 That concludes my portion of the
18 presentation, and I'll return the podium to Angela.

19 MS. BLAIR: Ladies and gentlemen, because
20 this is a case study and not, as we would call, a full
21 blown Chemical Safety Board investigation, we do not
22 use the terms, "root and contributing causes." We are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 simply here to identify factors that contributed to
2 this event happening. And, likewise, we do not make
3 recommendations in a case study. We merely point out
4 preventive measures that if they had been in place
5 might have prevented the incident from occurring. So
6 I want you to keep that in mind as we go through the
7 next few items.

8 Effective management systems are the key
9 to preventing accidents, and that's true of any
10 accident, of any kind, at any place. Management
11 systems are the key. And when I say the word,
12 "management systems," it tends to conjure up images of
13 rows of thick manuals full of procedures and mounds of
14 paperwork, lots of training and expensive hours by
15 some high-faluting management system expert. That is
16 not necessarily the case. In fact, in my experience
17 over the years, I have seen that management systems
18 can be tailored to fit the size and complexity of the
19 organization. When you have a small organization like
20 Environmental Enterprises who had about 40 employees
21 and you have a simple management structure, then the
22 management system documents and procedures can be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tailored to work effectively within that organization.

2 Now, not all elements of a total
3 comprehensive management systems are pertinent to this
4 event, so I've singled out the areas where I believe
5 preventive measures would have prevented this accident
6 from happening. First of all, written policies and
7 procedures were needed for risk reduction and for
8 regulatory compliance. In other words, a top-level
9 statement from management that states, "These are the
10 regulations that we must comply with, these are the
11 risks that we must manage, and here are the procedures
12 as the operations personnel of the plant must
13 implement in order to accomplish those goals."

14 Management oversight was an issue that
15 Johnny Banks identified as one of the causes of this
16 event. There should be guidelines to management, I'm
17 talking about supervisors on the line level, all the
18 way up to the plant manager, on what oversight was
19 necessary for day-to-day operations. And included in
20 that would be scheduled audits and inspections. These
21 are internal inspections by plant personnel to
22 determine deficiencies in their own program and to act

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 upon those. Some of you might know of the term,
2 "management by walking around." This is a way of
3 formalizing that practice.

4 Written work instructions and operating
5 procedures are also necessary. These work
6 instructions and operating procedures would cover day-
7 to-day as well as abnormal situation operations in the
8 waste water treatment system as well as procedures and
9 work instructions for things like mechanical
10 integrity, maintaining the H2S detector.

11 Another pertinent management system that
12 applies to this incident is a formal training program,
13 and, again this does not have to be complex or a large
14 document, but it should address what the contents of
15 that training program are, who should be allowed to
16 give the training, what they should talk about and
17 which employees should attend. And those training
18 programs would include hazard communication, which
19 are, "These are the hazards of our process and these
20 are the steps that we take to avoid them and what you
21 should do, you as an employee," and formal training
22 for the operator on those written operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 we obtained." The purpose for the verifiable records
2 is not only to allow the employees themselves to
3 effectively implement their procedures, but it also
4 allows that internal audit and inspection program to
5 work. This is where you will be able to determine are
6 employees complying with what we, the employer,
7 require them to do.

8 Subsequent to this event, Environmental
9 Enterprises, Incorporated management has implemented
10 several corrective actions to prevent recurrence of
11 this event. They have in fact established written
12 operating procedures for operating the waste water
13 treatment that include a strong requirement to perform
14 all chemical treatment in the proper vessels; that is,
15 the treatment tanks. They have conducted training for
16 all of the waste water treatment operators on these
17 procedures and the proper operation of this process.
18 They have also conducted training for all facility
19 employees, and this includes the secretarial and front
20 office staff as well as the employees in adjacent
21 operations to the waste water treatment area on the
22 hazards of hydrogen sulfide.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Improved ventilation equipment has been
2 installed in that room we have been seeing in our
3 photograph so that if there is a future release, it
4 will be evacuated from the area more quickly. This
5 will also minimize personnel exposure to the toxic
6 gas. They have implemented a calibration program for
7 the hydrogen sulfide detector. If you were very sharp
8 and observant when Mr. Banks showed you the photograph
9 of the hydrogen sulfide detector, you would have
10 noticed a clipboard hanging by it. That photograph
11 was taken on a return visit to the facility a few
12 months after the incident. That clipboard contained
13 the calibration records and showed evidence that the
14 detector had indeed been repaired and been
15 subsequently calibrated several times after the
16 incident.

17 Finally, the facility installed warning
18 signs at the entrances to the waste water treatment
19 system to warn other non-operating employees that
20 hazardous operations might be taking place, and they
21 have instituted controls to prevent non-operating
22 personnel from entering this area when there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 potential hazard.

2 That concludes our fairly brief
3 presentation on this case study report. I welcome
4 anyone who has questions about this case study to
5 visit our web site. There will be a copy of the
6 report posted on the web site at csb.gov. You may
7 also email me directly, angela.blair@csb.gov or you
8 may call me, and that is my office phone number -- or
9 that is the switchboard, and they will direct you to
10 my office. Thank you.

11 CHAIRPERSON MERRITT: Thank you, Ms. Blair
12 and Johnny Banks. Appreciate it. At this time, I'd
13 like to open the floor to the Board if there are any
14 questions.

15 MS. BLAIR: Mr. Banks, would you join me
16 up here?

17 CHAIRPERSON MERRITT: Dr. Taylor?

18 MS. TAYLOR: You mentioned that the
19 practice of putting the materials, the sodium sulfide
20 and the aluminum, into the clarifier was a common
21 practice.

22 MR. BANKS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. TAYLOR: Did you inquire from the
2 employee why he did not follow the proper -- of
3 putting it in the proper treatment tank?

4 MR. BANKS: From interviews, we learned
5 that it was a sense of achievement to get the job
6 done. It was -- he got accolades for getting the
7 waster water treated in a manner whatever it took to
8 get the job done, and that included the activity of
9 adding materials to the clarifier.

10 MS. BLAIR: Instead of sending it through
11 the treatment tank.

12 MR. BANKS: Right. It would shorten the
13 process.

14 MS. TAYLOR: It would have taken the
15 process longer.

16 MR. BANKS: Yes.

17 CHAIRPERSON MERRITT: Dr. Poje?

18 MR. POJE: I thought you did a very nice
19 job. This is a significant incident, not in the sense
20 of our ranking of incidents with high levels of
21 consequences but because of its potential impact on
22 preventing similar such events at other places. Would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 you hazard a guess as to the number of such facilities
2 that there might throughout the country that have a
3 similar scope of work? Cincinnati, I presume, is not
4 the only city that handles household hazardous waste.

5 MS. BLAIR: In fact, no, they're not. I
6 just saw an article in my own hometown newspaper, the
7 Mobile Register, about a hazardous waste collection
8 drive from household and other producers, so I know
9 that that activity is going on all over the country.
10 We're in the process of obtaining that information
11 with the assistance of Dunn & Bradstreet to identify
12 other facilities that are similar to this. But my
13 initial research on the EPA database is that they
14 number in the hundreds.

15 MR. POJE: And I just had the opportunity
16 for returning from a meeting of the Society of
17 Environmental Journalists, and I would just like to
18 say that such case studies, shorter, synoptic reports
19 that point directions on where there are systemic
20 problems that affect large numbers of people, are very
21 valuable documents to a very broad audience. So I
22 salute you for your pursuit of this task.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 CHAIRPERSON MERRITT: Thank you. Mr.
2 Bresland?

3 MR. BRESLAND: You said that several other
4 agencies were involved in the investigation of this
5 incident?

6 MR. BANKS: Yes.

7 MR. BRESLAND: What was the result of
8 those investigations?

9 MR. BANKS: Yes. The Ohio component of
10 OSHA issued fines to the Environmental Enterprises to
11 the tune of --

12 MS. BLAIR: It was over \$130,000.

13 MR. BANKS: -- \$136,000 for wilful
14 violations.

15 MS. TAYLOR: They cited them for HAZCOM as
16 well as -- were they cited for HAZCOM at all?

17 MR. BANKS: Yes.

18 MS. BLAIR: Yes. They were cited under
19 HAZCOM, HAZWOPER and the general duty clause.

20 CHAIRPERSON MERRITT: Dr. Rosenthal?

21 MR. ROSENTHAL: Yes. They put this H2S
22 detector in after an earlier incident.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MS. BLAIR: Yes.

2 MR. ROSENTHAL: Is there any record of did
3 they initially start to calibrate it, pay attention to
4 it or they never had a pattern of calibrating it?

5 MR. BANKS: It was a random approach to
6 doing it. And the two gentlemen that we spoke to, the
7 operator and the mechanic, they would, on occasion, go
8 by, "Well, I haven't checked this in a while," and
9 calibrate it. So there wasn't a systematic approach
10 to saying it's checked every Tuesday by the
11 maintenance group. It was very random, and as a
12 result it fell between the cracks.

13 MR. ROSENTHAL: What was their -- I guess
14 what I'm trying to find out is if the usual pattern
15 that immediately after the incident they maybe checked
16 once a week, two months later, once every three weeks.

17 Do you detect a fall-off?

18 MR. BANKS: There's a very real
19 possibility. When you looked at the overall culture
20 there at Environmental Enterprises, you could see
21 where there could be a drift back to a casual approach
22 to doing things like that. It's our hope that this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 report will kind of raise the importance of equipment
2 such as that, that people will take the time to go and
3 calibrate it and make sure that it's working properly,
4 because part of our work in interviewing people was
5 just to ask, "How much do you know about H2S," and the
6 response that we got back was striking to me. There
7 was very little knowledge that they had about the
8 effects of H2S, long-term, short-term knowledge of
9 what the characteristics were to tell if you've been
10 exposed.

11 MS. BLAIR: If you've ever been in an
12 operation where somebody comes in, "Oh, man, you smell
13 awful," and the comment is always, "Well, it smells
14 like money to me," because it smells like whatever we
15 do that makes money for the company, and that was the
16 kind of comments that we heard.

17 Our initial -- when we observed the
18 clipboard by the detector there, the calibrations had
19 been done on about a monthly schedule. So it's not
20 too ambitiously overactive in the beginning, and
21 monthly is probably adequate for that kind of
22 operation.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. POJE: H2S is a well-known odoriferous
2 chemical, and most of us get exposure to it in high
3 school laboratories as the rotten egg smell, but it's
4 also notorious toxic agent for which our noses can go
5 through an olfactory fatigue and no longer detect that
6 quite odoriferous chemical because we get used to it,
7 which is another reason why it's so incumbent upon
8 facilities that have potential like this to have
9 calibrated detectors to provide adequate warning.

10 MR. BANKS: Well, that was one of the
11 cautions that went out to the work force that worked
12 in this area was that, well, as long as you can smell
13 it, everything's okay. And so it led to a false sense
14 of security where if you go to that next step of
15 realizing that it does get the olfactory nerves and
16 that you won't be able to smell it, it's too late,
17 they didn't know that, So they didn't know what they
18 didn't know.

19 CHAIRPERSON MERRITT: Are there any other
20 questions or comments? Thank you very much, both of
21 you.

22 MR. BANKS: You're welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 CHAIRPERSON MERRITT: Appreciate it, very
2 good report. At this time, I'd like to open the floor
3 to any public comment. Were there any registrations
4 of wish to speak? Then there being none, I would ask
5 if we have a motion to accept the case study on EEI?

6 MR. BRESLAND: I'd like to make a motion
7 that we approve the CSB Staff Case Study Number 2003-
8 02-C-OH regarding an incident at the Environmental
9 Enterprises, Incorporated, parenthesis, EEI facility,
10 in Cincinnati, Ohio. This case study describes a
11 hydrogen sulfide exposure incident that occurred on
12 December 11, 2002. One person was injured. The H2S
13 exposure was caused by using the incorrect vessel to
14 treat chemicals.

15 CHAIRPERSON MERRITT: Is there a second to
16 that?

17 MS. TAYLOR: Second.

18 CHAIRPERSON MERRITT: Dr. Taylor seconds
19 it. Is there any discussion from any of the Board
20 members concerning this report, this case study?

21 MR. POJE: Madam Chair, I've had extensive
22 discussions with the team in the preparation of this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 work, and I think they've done a very good job.

2 CHAIRPERSON MERRITT: Okay. Thank you.
3 Then at that time, I'd like to propose the question
4 and bring this to a vote. Then the question is should
5 we approve the CSB Staff Case Study Number 2003-03-C-
6 OH, regarding the incident at the Environmental
7 Enterprises, Incorporated facility in Cincinnati,
8 Ohio. This case study describes a hydrogen sulfide
9 exposure incident that occurred on December 11, 2002.

10 One person was injured. The H2S exposure was caused
11 by using the incorrect vessel to treat chemicals.
12 Then I would call roll call. Dr. Taylor?

13 MS. TAYLOR: Approve.

14 CHAIRPERSON MERRITT: Dr. Rosenthal?

15 MR. ROSENTHAL: Approve.

16 CHAIRPERSON MERRITT: Dr. Poje?

17 MR. POJE: Approved.

18 CHAIRPERSON MERRITT: Mr. Bresland?

19 MR. BRESLAND: Approve.

20 CHAIRPERSON MERRITT: And I approve it as
21 well. With that, the motion is carried unanimously
22 without modification.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. ROSENTHAL: Just an informational
2 question. I gather that Angela somewhere along the
3 line is getting the name of all the waste treaters.
4 Are we planning to distribute this report to such
5 facilities? It's a small report.

6 MS. BLAIR: That's a good idea.

7 MR. ROSENTHAL: It just strikes me that
8 this is this week's sermon and if we get it out, it
9 will probably have effect for at least one week, but
10 maybe a year or so. And given that there are a large
11 number of these facilities, it's a common hazard, I
12 would like to suggest the staff consider taking that
13 list and sending out with the appropriate letter to
14 those facilities.

15 CHAIRPERSON MERRITT: So noted. Thank
16 you. Then if that concludes our business, with a vote
17 to approve the EEI case study we come to the end of
18 the scheduled business for this morning's public
19 meeting. Let me thank the two investigative teams for
20 their excellent work, John Vorderbrueggen, Mike
21 Morris, Giby Joseph and Bill Hoyle for BLSR
22 investigation and Angela Blair and Johnny Banks for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 the EEI investigation. Both of these cases were
2 brought to closure in well under 12 months, which I'm
3 very pleased to report, and with outstanding final
4 report in each case.

5 Let me offer an additional comment
6 directed to BLSR, T&L, Noble Energy and Environmental
7 Enterprises. As a former corporate safety official
8 myself, I know that no company wants to be the subject
9 of a federal investigation, even a non-regulatory
10 scientific investigation like ours. No company wants
11 its name brought up in the public where there are root
12 causes and investigative findings are being discussed.

13 For that matter, no company wants to have serious
14 chemical accidents either involving employees or their
15 contractors.

16 In this way, all of us share a common
17 purpose. We all want to prevent this kind of accident
18 from happening again. My appeal to everyone is
19 simple: Join with the Chemical Safety Board in
20 disseminating the lessons learned from these
21 unfortunate events and help us build a safer future.
22 Tell your employees, tell your customers, tell your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 trade associations and your competition. Help get the
2 word out about these hazards. Remember that our
3 purpose here is not to point blame or to apportion
4 responsibility. It's simply to save lives in the
5 future.

6 There's an urgent need out there for more
7 knowledge about oil field waste hazards, about
8 hydrogen sulfide hazards and about all the topics that
9 we've discussed here today. To the companies where
10 accidents have occurred, you have a credibility that
11 goes out -- to go out and warn others. Surely, all of
12 us owe the service to the victims of these accidents.

13 On another note, today, September 17,
14 marks the first anniversary of the Board's landmark
15 study on reactive hazards, the hazards from
16 uncontrolled chemical reactions in industrial
17 settings. Last year, we reported that 167 serious
18 reactive incidents occurred in the U.S. over the
19 previous two decades. These incidents caused more
20 than 100 fatalities.

21 Disturbingly, more than half of the
22 chemical processes involved in these accidents were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not covered under EPA or OSHA process safety rules.
2 One year ago today, the Board voted unanimously to
3 issue 18 new recommendations to control reactive
4 hazards. Importantly, we recommended that both EPA
5 and OSHA broaden regulatory coverage of reactive
6 chemicals and mixtures. We are now awaiting definite
7 responses from EPA and OSHA on how they intend to
8 proceed. I've had constructive discussions with
9 Secretary Henshaw in particular, and I look forward to
10 the progress that's being made on these issues. But
11 there are glaring holes in the rules currently, and
12 now is the time to close that gap.

13 Today, September 17, also marks another
14 milestone in this process. Today, we are releasing
15 the complete data set of 167 incidents that underpin
16 the reactive hazard investigation. These data will be
17 available from our web site, www.csb.gov, and on CD-
18 Rom. Our hope is that this information will now be
19 used by researchers and others to further
20 understanding of reactive hazards and lead to greater
21 efforts to prevent accidents. The public will now be
22 able to review each incident by date, location,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 company name, chemical involved, reported cause and
2 impact.

3 In reading this information, one
4 conclusion is clear: Too many reactive hazards are
5 occurring, and they continue to occur, and they are
6 causing tremendous damage and suffering. All are
7 preventable through better safety management, and
8 these incidents continue to happen today, including
9 the Ohio incident we heard about this morning. The
10 Board currently is investigating six significant
11 reactive incidents.

12 On behalf of the Board, I'd like to thank
13 Giby Joseph and Chris Kirkpatrick for their diligent
14 work in assembling and clearing all the reactive
15 incident data that we now have that is being released
16 to the public. The Board's next public meeting is
17 scheduled for Tuesday, September 30 in New York City
18 where we'll take up a final staff report on the
19 KalTech building explosion that occurred in April
20 2002. That event, also a reactive incident involving
21 waste products, caused more than 30 injuries in the
22 Chelsea neighborhood of Manhattan. That public

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 meeting will be webcast live from the Agency's web
2 site, csb.gov.

3 And with that information, this meeting
4 stands adjourned. Thank you all.

5 (Whereupon, at 12:08 p.m., the CSB meeting was
6 concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701