

U.S. CHEMICAL SAFETY AND HAZARD INVESTIGATION BOARD

PUBLIC BOARD MEETING

Moody Ballroom
Hilton Hotel
8181 Airport Blvd.
Houston, Texas

Thursday,
March 6, 2003

The above-entitled meeting came to order,
pursuant to notice, at 9:00 a.m.

PRESIDING: CAROLYN MERRITT
Chairman

BOARD MEMBERS:

JOHN BRESLAND
DR. GERALD POJE
DR. IRV ROSENTHAL
DR. ANDREA K. TAYLOR

CHARLES JEFFRESS, Chief Operating Officer
CHRISTOPHER WARNER, General Counsel

STAFF PRESENT:

JOHN MURPHY
LISA LONG
GIBY JOSEPH
DONALD HOLMSTROM

I N D E X

<u>AGENDA ITEM</u>	<u>PAGE</u>
Welcome and Introductions	
Ms. Carolyn Merritt	3
Update on CSB Investigations	
Mr. Charles Jeffress	9
Presentation of Report on Third Coast Industries, Inc. Incident Description	
Mr. David Heller	20
Causes of Fire Spread	
Dr. Robert Zalosh	29
Root Causes and Conclusions	
Mr. David Heller	49
Recommendations	
Mr. Jordan Barab	68
Public Comment	
Mr. Brian Mansfield	83
Mr. Frank Elam	84
Mr. Ernest Lislle	87
Discussion of Report	95
Vote to Approve Report and Recommendations	99
Update on Recommendations	
Mr. Jordan Barab	99
Concluding Remarks and Adjournment	
Ms. Carolyn Merritt	113

P R O C E E D I N G S

1
2 MS. MERRITT: Good morning.

3 On behalf of the U.S. Chemical Safety Board, I
4 welcome all of you to the CSB public meeting here in
5 Houston.

6 I'd also like to welcome those who are joining us
7 live by Webcast at our Website, www.csb.gov.

8 I'm Carolyn Merritt, and I'm chairman and CEO of
9 the U.S. Chemical Safety Board. And with me this morning
10 are our other board members, Dr. Irv Rosenthal, Dr. Andrea
11 Kidd Taylor, Mr. John Bresland, and Dr. Gerry Poje.

12 Also with us in the audience, if you'll stand,
13 please, is Charles Jeffress. He's our chief operating
14 officer. Mr. Christopher Warner is our general counsel, and
15 of course, our staff and guests. And we certainly are glad
16 that you are here with us this morning.

17 Our main business today will be to review the
18 staff's findings and recommendations concerning the May 1,
19 2002, Third Coast industry fire near Pearland, Texas. We'll
20 proceed then to public comment -- and I encourage you of the
21 public to please feel free to speak -- and possibly to a
22 board vote on the report and recommendations.

23 Time permitting, we will then take up some
24 routine business, for which you are welcome to stay, and

1 adjourn around noon. We've also scheduled a press
2 conference here at 12:30 to recap today's activities.

3 As many of you know, this has been a very busy
4 time for us at the Chemical Safety Board. We have eight
5 major investigations under way, including today's case, the
6 Third Coast fire.

7 Before we hear a brief update of those cases from
8 Mr. Jeffress, I'd like to take a few minutes to make a few
9 general observations.

10 First of all, we have good news, and that is that
11 we have added seven new investigators and specialists to our
12 staff since we were here in September in Houston. We're
13 very grateful to our friends in Congress for providing us
14 with the adequate resources to fund that expansion.

15 All of us share a common goal, and that is to see
16 that chemical accidents are prevented and that the public,
17 the workers, and workplaces are better protected from
18 chemical hazards.

19 The unfortunate news, however, is that at no time
20 in recent history has there been a greater need for an
21 agency like ours. This winter there has been a rash of
22 tragic chemical accidents. In January I returned to the
23 Houston area with our investigators to respond to the
24 incident at BLSR in Rosharon.

1 In addition to that event at BLSR, which has now
2 claimed three lives, the board is investigating major plant
3 explosions in Kinston, North Carolina, and Corbin, Kentucky.

4 Those two explosions have taken eleven lives, inflicting
5 terrible injuries as a result of fire, and caused major
6 economic disruption to those communities.

7 As a safety professional, I have to tell you that
8 it's difficult for me to watch, as incidents happen, knowing
9 that most all of these could be prevented through better
10 safety management systems. It's a difficult message to have
11 to convey to people like Antonia Diaz, the young wife of one
12 of the burn victims at BLSR.

13 Mrs. Diaz is the wife is Octavio Diaz. When the
14 incident occurred there, Mrs. Diaz was eight and a half
15 months pregnant with their first child. Octavio Diaz
16 survived the incidents, but Mrs. Diaz's brother, Francisco
17 Perez, and her half-brother, Macario Martinez, both workers
18 at BLSR, perished at the scene.

19 Mr. Diaz now faces, along with his family, a
20 lifelong struggle as a result of his injuries. I can't
21 begin to imagine the sorrow that those families face in the
22 wake of such chemical disasters. I can say that we at the
23 Chemical Safety Board will learn every lesson that we can
24 from these accidents.

1 We'll continue to seek better safety at sites
2 across this country by urging the adoption of our
3 recommendations and publicizing the hazards to raise the
4 awareness that such incidences could happen anywhere.

5 Today we'll learn about an earlier incident in
6 the Houston region that, surprisingly, caused no deaths or
7 serious injuries. And I say surprisingly because at the
8 Third Coast fire on May 1, it was one of the largest fires
9 of recent memory, consuming about 1.2 million gallons of
10 combustible liquids, like motor oil and brake fluid.

11 But the fire started in the middle of the night,
12 thank goodness, and there were no workers present, but the
13 blaze burned for 24 hours and caused the evacuation of about
14 100 people in surrounding homes and businesses.

15 In addition, and we shouldn't forget, that 180
16 emergency responders were also involved in this event.
17 Every event impacts people in many different ways. Although
18 this accident caused no injuries, it does raise a number of
19 serious safety issues relating to the management of
20 combustible liquids.

21 Specifically, what kind of fire protection
22 systems, for example, alarms or sprinklers or fire-retarding
23 partitions, are necessary where combustible liquids are
24 stored in large quantities? Secondly, what role should the

1 local government be playing in ensuring the safety of these
2 kinds of industrial facilities?

3 Are the local, national, and international fire
4 codes adequate to prevent the incident and to prevent the
5 results of these hazards of combustible liquids? Even
6 questions are raised about OSHA's role in preventing these
7 events.

8 I want to emphasize that while our investigators
9 did uncover fire safety deficiencies at Third Coast, the
10 company has been completely cooperative with us in this
11 investigation. They also experienced a total loss of this
12 facility, and I'm sure they would agree that the cost of
13 prevention would have been a good investment.

14 I look forward to working with Third Coast and
15 other parties to fully implement the safety recommendations
16 that will be considered here today. Our goal is to prevent
17 this type of incident where the outcomes may be more tragic.

18 I also want to acknowledge the good cooperation
19 with the Pearland volunteer fire department and OSHA,
20 Houston South Area Office. Lastly, I would also be remiss
21 if I did not mention the excellent working relationship in
22 the field between the Chemical Safety Board and the Bureau
23 of Alcohol, Tobacco and Firearms. ATF has been shoulder-to-
24 shoulder with us not only here at Third Coast but also

1 recently in North Carolina and in Kentucky.

2 I'd like to briefly explain the format for
3 today's meeting. We will hear from the staff and they will
4 present the circumstances of this incident and their root
5 causes. At that point, board members, you will be welcome
6 to question the staff.

7 We'll hear the staff's proposed safety
8 recommendations followed by another round of questions. At
9 that point, we will take a short break and when we return,
10 we'll entertain comments from the public.

11 A few ground rules, though, for those comments,
12 if you please, would be that if you wish to offer comments -
13 - and we encourage you to do so; you're welcome to do so --
14 your comments should be pertinent to this case at Third
15 Coast, and you need to limit your comments to five minutes,
16 please.

17 If you plan to offer comments, we would ask that
18 you make yourself known to the staff at the registration
19 table some time between now and our break.

20 Depending on what the board hears today, we may
21 then proceed to a vote on the report and its
22 recommendations. Following the public meeting, we have
23 scheduled a press conference at 12:30 right here in this
24 room, and members of the public are certainly welcome to

1 attend this press session, but we'll only be taking
2 questions from accredited reporters.

3 Now, if there are any other opening comments of
4 any other board members?

5 (No audible response.)

6 MS. MERRITT: Then if there are none, then I'd
7 like to introduce Charles Jeffress, who will give the board
8 a brief update on our ongoing investigations. Thank you.

9 Charles.

10 MR. JEFFRESS: Thank you, Chairman Merritt.

11 Chairman Merritt and board members, I'm proud to
12 report to you that today the Chemical Safety Board has more
13 staff deployments than at any time in our history. While
14 that represents unfortunate accidents, it also represents
15 our doing our job in helping the public understand the cause
16 of these incidents, helping the chemical industry prevent
17 future incidents of this type.

18 Our ability to respond at this level is the
19 result of more staff that we added last fall, as you will
20 recall. But it's also the result of our existing staff's
21 stepping up to the challenges, accepting more work in a very
22 positive response to the increased workload that these
23 incidents have brought to us.

24 And I'd like to take this opportunity to publicly

1 thank the staff for stepping up and taking on the
2 challenges, helping us address these problems that confront
3 the manufacturers and users of chemicals in our country
4 today.

5 The goal of our investigations is to help
6 manufacturers and users of chemicals better understand the
7 causes of these incidents, better understand the hazards in
8 their workplaces, and our investigations cover a wide
9 variety of industrial settings that you'll see as I go
10 through our list of open investigations.

11 The longest running investigation at this point
12 is in New York City -- Kaltech Industries Group,
13 Incorporated. On April 26, 2002, an explosion occurred in
14 the basement of a ten-story building in the Chelsea district
15 of Manhattan, which is pictured on this slide here.

16 Kaltech Industries produced metal signs in the
17 basement of this building. They also occupied space on the
18 first and mezzanine floors of the building. In the
19 explosion 31 people were injured, including 14 members of
20 the public in the building and surrounding it.

21 The explosion was the result of a chemical
22 reaction that occurred when waste and surplus chemicals were
23 consolidated from several small containers into 55-gallon
24 drums so they could be taken offsite.

1 We will have a public hearing in New York on this
2 -- to discuss issues related to this investigation next
3 month. Particularly interested in issues related to the
4 regulation and handling of hazardous chemicals in commercial
5 buildings and mixed-use districts such as this. We expect a
6 final report on this investigation in June of this year.

7 The next investigation is the one that you'll
8 hear more about today. I just skipped it -- excuse me.
9 Which is the Third Coast Packaging Company in Friendswood,
10 Texas, just south of here. And I will leave further
11 discussion of that to Dave and the group when they come.

12 The next is DPC Enterprises, which is south of
13 St. Louis, Missouri. On August 14, 2002, employees of DPC
14 Enterprises were unloading chlorine gas from a rail tank car
15 when a hose ruptured, sending a cloud of gas into the
16 surrounding community.

17 This gas continued for three hours -- the leak
18 continued for three hours. It forced the evacuation of
19 homes and businesses in the area. Four people were treated
20 at hospitals, although there were no long-term injuries at
21 this point, as far as we know.

22 The picture you see there is the tank car and the
23 gas escaping from the hose where it's connected to the
24 plant.

1 On October 4, 2002, Board Member John Bresland
2 made an interim report in Festus, Missouri, to local and
3 state officials about the progress of our investigation. In
4 December we issued a safety alert to users of chlorine gas
5 to check on the construction of the transfer hoses that
6 transfer chlorine from tank cars to their plants to assure
7 that they've been manufactured with the proper material to
8 prevent leaks such as this. We expect to complete this
9 report at the end of next month.

10 The next investigation is in Pascagoula,
11 Mississippi, First Chemical Company. On October 13, 2002,
12 an explosion occurred in a distillation tower at the plant.

13 The explosion and fire ruptured a nearby [inaudible].

14 There were three minor injuries, and Jackson
15 County civil defense officials ordered residents within a
16 one-mile radius of the plant to shelter in place for a
17 period of time. Debris from the explosion and fire,
18 including this nearly six-ton piece of metal that you see
19 here that came from the top of the tower, were blown up to a
20 quarter-mile away from the plant site.

21 The community was very fortunate to have as
22 little collateral damage as occurred since this plant was in
23 an industrial park with significant amounts of ammonia and
24 gasoline and other chemicals stored close by. This was a

1 runaway chemical reaction, illustrating one of the hazards
2 that the board highlighted in its study last year on
3 reactive hazards.

4 We expect to complete this investigation in
5 September. We did hold in January -- Board Members Gerry
6 Poje and John Bresland made an interim report to the
7 community in Pascagoula, Mississippi, on this investigation.

8 Next is Environmental Enterprises, Incorporated.

9 Environmental Enterprises treats industrial waste to make
10 them safe to enter municipal sewage systems. At their
11 Cincinnati plant an employee was overcome by hydrogen
12 sulfide fumes after an inappropriate treatment of some of
13 the chemicals being treated. This investigation is a part
14 of a larger study of toxic gases emanating from hazardous
15 waste systems.

16 Next is Catalyst Systems, Incorporated,
17 investigation. Catalyst Systems is actually a part of U.S.
18 Chemicals and Plastic Company. This plant is located in
19 Gnadenhutten, Ohio. This plant produced benzoil peroxide, a
20 chemical used in auto body fillers.

21 Employees at the plant had home-grown a system
22 for producing a product with a much higher concentration of
23 benzoil peroxide than they had been making in previous
24 years. It was this system that exploded on January 2, 2003.

1 Fortunately, no employees were in this part of
2 the building at the time. While this part of the building
3 is destroyed and no longer usable, no one was hurt and the
4 rest of the company was able to continue operating.

5 The next investigation is back here in Houston
6 again; ironically, right back in Brazoria County: BLSR. On
7 January 13, 2003, a vapor cloud deflagration and pool fire
8 erupted at the BLSR Operating, Limited, facility located
9 here in Brazoria County about, as you said earlier, five
10 miles north of Rosharon.

11 The fire destroyed two 50-barrel vacuum trucks,
12 and that's what you see in the picture here -- the remains
13 of the two trucks. Three employees have died and two are
14 seriously burned as a result of this incident. Our
15 investigation is focusing on identifying the source of the
16 flammable vapor and the ignition source; possible hazards
17 associated with handling waste liquids from oil and gas
18 production wells, and these folks were actually hauling
19 volumes from gas wells, and our investigation is focusing on
20 the level of worker awareness of flammable liquid hazards at
21 these wells and their associated waste disposal facilities.

22 The team recommendations and findings will be
23 presented to the board the next few months and will be
24 released as a final report in early summer.

1 The next investigation is the largest
2 investigation the board has undertaken in its history, West
3 Pharmaceutical Services in Kinston, North Carolina. On
4 January 29, 2003, six people died as a result of an
5 explosion at the West Pharmaceutical's plant. Four more
6 employees remain in critical condition six weeks after the
7 incident in burn centers and hospitals nearby.

8 The company produced rubber products for use in
9 the health care industry. The primary fuel in the explosion
10 was dust generated by the manufacturing process. This dust
11 accumulated above a false ceiling in the plant. We continue
12 to investigate what set off the dust, what caused the dust
13 to explode, but you can see the shambles, the total
14 destruction of the plant that resulted from this accident.

15 The ninth open investigation is in Cranston,
16 Rhode Island, at Technic, Incorporated. Technic is a
17 leading producer of precious and nonprecious metal plating
18 chemistry in the electronics industry. Chemicals handled at
19 the facility include silver nitrate, potassium silver
20 cyanide, potassium cyanide, nitric acid, and other cyanide
21 salts.

22 On February 7 this year, an explosion and
23 subsequent fire in the process ventilation ductwork, and
24 here you see some of the ductwork coming off of the vets

1 where these ducts assembled into the main ductwork that
2 carried all the waste out is where the explosion initially
3 occurred.

4 The explosion resulted in serious injury to an
5 employee, an evacuation of immediate neighbors to the plant.

6 Major damage, as you can imagine, to the plant. Theories
7 in how the incident started include perhaps a combustible
8 dust explosion or the explosion of shock-sensitive material
9 in the ventwork.

10 This incident, like the Georgia Pacific incident
11 that the board closed last year, highlights the need for
12 facilities to pay special attention to the systems that
13 handle their waste, whether they be sewers or whether they
14 be ventilation ducts.

15 The processes that occur in waste-handling
16 systems are a concern to us, and obviously, can result in
17 major damage to plants and major injury to individuals.

18 The most recent investigation we have is in
19 Corbin, Kentucky, at CTA Acoustics. On February 20 an
20 explosion and fire at the CTA Acoustics plants injured a
21 total of 44 people. Four have died; four more remain in
22 critical condition in the hospitals.

23 Noxious smoke, as you see here, forced the
24 evacuation of an apartment building, houses, and businesses

1 around the plant. The plant manufactures acoustical and
2 thermal insulation for automotive industrial customers. It
3 was heavily damaged. Parts of it are back in operation, but
4 our investigation is active. We are still on site at this
5 plant today.

6 In addition to these ten open investigations, as
7 you see, eight major ones and two smaller ones, the board
8 has initiated two studies -- one on toxic gases from sewer
9 systems and one on handling sodium hydrosulfide. These
10 studies and others are being pursued as time permits in the
11 course of our investigation of these incidents.

12 Again, I'd like to thank the staff for stepping
13 up their efforts to meet the challenges presented to us in
14 the past six months by these types of incidents. We look
15 forward to sharing with industry and with the public the
16 lessons we learned from these events so that we can prevent
17 further incidents.

18 MS. MERRITT: Thank you, Charles.

19 Do you have a question?

20 DR. POJE: I'll just make a comment, Charles. As
21 you know, the board members are also part, frequently, of
22 some major investigations and in the field, and I've the
23 opportunity to be in the field on three of those. And I do
24 want to salute you and the staff for the quality of field

1 work that's going on right now.

2 I think it's of the highest quality that the
3 board has ever pursued, and I think I would share the
4 comments from the chairman. These incidents are
5 horrifically significant to our country.

6 The one that I just returned from at CTA
7 Acoustics -- not only are 500 jobs at risk and the terrible
8 travail to the individuals, but this is a crucial supply
9 chain feature for other businesses, and as a result of their
10 tragedy at this facility, over 10,000 other workers have
11 been laid off at other facilities because of the inability
12 to produce this material.

13 So I do urge us to make sure our messages get out
14 on how to be preventative for these incidents so we can
15 protect an awful lot of jobs in this country.

16 MS. MERRITT: Thank you, Dr. Poje.

17 Thank you, Charles. Would you please at this
18 time -- may I make an announcement, though. If anybody has
19 got mobile phones, cell phones, pagers that beep or ring,
20 would you please turn them off so that our report will not
21 be interrupted by your calls. Thank you.

22 Charles, would you now introduce staff and let's
23 proceed with our report.

24 MR. JEFFRESS: Thank you, Madame Chairman.

1 To present the report on the Third Coast accident
2 investigation, we have three people to present; two staff
3 members and one consultant.

4 Dave Heller, who is the supervisor in the
5 investigations and safety programs division of our agency.
6 Was a lead investigator on this incident. He's been with
7 CSB for four years. He's a chemical engineer and a
8 certified safety professional.

9 Prior to joining the agency he spent 24 years in
10 private industry in a variety of assignments in the chemical
11 industry. With us he's served as a lead investigator at the
12 Morton Chemicals Explosion on New Jersey, at the Bethlehem
13 Steel investigation in Indiana, at the Motiva Enterprises
14 investigation in Delaware, and of course, at Third Coast.

15 He will be the primary presenter of the report to
16 you. Joining him is Jordan Barab, our investigation
17 recommendations specialist. He's been in the occupational
18 safety and health field for over 20 years. He joined the
19 agency in September last year.

20 He's a recommendations specialist working with
21 investigators to develop recommendations, evaluating the
22 responses we get from recipients, and working to assure that
23 people adopt the recommendations that we make.

24 Presenting with these two is Bob Zalosh, Robert

1 Zalosh, who was a special consultant to the agency during
2 the course of this Third Coast investigation. Dr. Zalosh
3 has been a professor of fire protection engineering at
4 Worcester Polytechnic Institute in Worcester, Massachusetts,
5 since 1990.

6 Prior to that he worked for 15 years for Factory
7 Mutual Research Corporation. He has authored chapters on
8 explosion protection for the National Fire Protection
9 Association's fire protection handbook and for the Society
10 of Fire Protection Engineers' handbook of fire protection
11 engineering.

12 And I'm proud to say that while he was on
13 sabbatical in 2001, he spent awhile working on the staff of
14 the Chemical Safety Board. So welcome back to our
15 investigations.

16 And with that, Madame Chair, I'll turn the
17 presentation over to Dave Heller.

18 MS. MERRITT: Thank you.

19 MR. HELLER: Thanks, Charles.

20 Madame Chair, board members, Mr. Jeffress, Mr.
21 Warner, in the early morning hours of May 1, 2002, a small
22 broke out at the Third Coast Industries plant in Brazoria
23 County near Friendswood and Pearland, Texas. By the time
24 the fire was extinguished nearly 24 hours later, the

1 facility was a total loss, consuming more than 1.2 million
2 gallons of oil and engine lubricant materials.

3 Several nearby buildings were destroyed and
4 neighbors evacuated. Environmental cleanup activities
5 included removal of debris, soot and ash, and approximately
6 900,000 gallons of contaminated water. Fortunately, no
7 employees or firefighters were injured in this incident.

8 Our investigation team arrived on the scene on
9 the night of May 1. We were also present, and we'd like to
10 thank also the Texas Commission on Environmental Quality,
11 TCEQ, the Bureau of Alcohol, Tobacco and Firearms, ATF, U.S.
12 Environmental Protection Agency, and the Occupational Safety
13 and Health Administration, OSHA. And we were also joined by
14 the Coast Guard in those succeeding days on the site.

15 This morning we'll be presenting the results of
16 our investigation, our findings and analysis to the
17 incident, our determination of root and contributing causes,
18 and recommendations aimed at preventing a recurrence of this
19 incident.

20 And the key issues we're going to cover are the
21 lack of fire control measures at the Third Coast facility,
22 consensus code standards, namely, codes developed by the
23 National Fire Protection Association -- that's the NFPA --
24 and other code-making bodies, notably the International Code

1 Council, and how adherence to their practices would have
2 made a difference at Third Coast, and the need for
3 communities to have codes, fire codes, that protect
4 businesses, the community, and the environment.

5 First, some background about the Third Coast
6 facility. Third Coast was located in an unincorporated area
7 of Brazoria County. It was about 18 miles from downtown
8 Houston. Third Coast began operations in 1988 and had
9 expanded several times over the years.

10 At the time of the incident, what Third Coast was
11 doing was they were blending and packaging automotive and
12 engine fluids, so antifreeze, motor oils, windshield washer
13 fluid, hydraulic and gear oils and other fluids like brake
14 fluid, power steering fluid, and transmission fluid.

15 These items were sold under various Third Coast
16 brand names. Third Coast was also blending and repackaging
17 materials for major oil and lubricant companies. Almost 100
18 employees worked at the Third Coast facility -- this Third
19 Coast facility.

20 Third Coast also operates another facility, Third
21 Coast Terminals, which is located inside the city limits of
22 Pearland, Texas. At this point it's important to review how
23 flammable and combustible liquids are classified.

24 Now, NFPA, the National Fire Protection

1 Association, and OSHA classify these liquids based on their
2 flashpoints and their boiling points. Flashpoint is the
3 minimum temperature at which a liquid gives off enough vapor
4 to form an ignitable mixture with air. The lower the
5 flashpoint, the easier it is to ignite.

6 And there's a cutoff between flammable and
7 combustible liquids at 100 degrees Fahrenheit. These cross
8 right here. Best way to understand that is that materials
9 of flashpoints below 100 degrees -- they can generate enough
10 vapors to ignite under normal summer conditions right here
11 in the Texas area and many other areas also.

12 Liquids with flashpoints over 100 typically must
13 be heated by some source to become flammable. And the
14 classes shown in red on this diagram are the materials that
15 were onsite at Third Coast at the time of the incident.

16 The vast majority of the materials are what are
17 called Class III combustibles, the least likely and the
18 hardest to burn, but there was also some methanol, mineral
19 spirits, and some other more highly combustible materials.
20 But as became evident on May 1, 2002, once ignited, even
21 these Class III combustibles will burn just as fiercely as
22 any other flammable liquid.

23 And now an overview of the facility. We can take
24 a look at this slide for one second, but I'd like to talk

1 about this off of this diagram of the plant. There was a
2 storage tank farm -- there was about 74 -- these are
3 vertical storage tanks up to about 50,000 gallons in
4 capacity.

5 Seventy-four of these tanks were in use at the
6 time of the incident. There was about 700,000 gallons of
7 material stored total in those tanks. Third Coast also had
8 four warehouse buildings, and these had -- this is really
9 how the facility had grown over the years from 1988 through
10 the 1990s.

11 And inside the warehouses were blending and
12 packaging lines and also storage for finished product, so we
13 had cases of motor oils and drum material, smaller cartons
14 of brake fluid cans, small cans all inside these various
15 buildings. About 500,000 gallons of materials in these
16 smaller containers.

17 This is a closeup of that lower left-hand corner
18 of the facility. And see the tank farm a little better, and
19 again, we said that most of the materials were Class IIIB
20 combustibles. There were some that were more flammable, so
21 a tank of methanol, which is a Class IB flammable, a Class
22 II material, and one or two of the Class IIIAs, and that
23 will become relevant as we go through the presentation here.

24 Also like to point out at this point the area

1 that we believe was the most likely source of point of
2 origin of the fire, and this was outside of Warehouse 1
3 around what was Packaging Line 4.

4 Now, here's an overhead photo. This was taken
5 before the fire. The facility is outlined in red. And what
6 I'd like to point out to you here is the proximity of the
7 houses and businesses around the plant. This is West Clover
8 Lane here, and here are -- and again, not all of the houses
9 are marked off here, but here's some of the houses that were
10 close by in white and the businesses are with the black
11 squares.

12 Now I'd like to take you through the sequence of
13 events that began on the evening of April 30 and continued
14 through the following days. On that evening, second-shift
15 workers were carrying out normal activities, blending and
16 packaging a variety of fluids in and around the plant and in
17 and around Warehouse 1, and they left the site at about
18 11:30 p.m.

19 Now there's about a one and a half hour gap. At
20 about 1:00 in the morning the security guard arrives for his
21 regular rounds. And if I can point you over to the
22 schematic back here, the guard came into the office area of
23 Warehouse 2, sort of checked in, walked through the building
24 and looked out a door out of the back end of Warehouse 2,

1 and he sees a fire around Packaging Line 4 around the table
2 here.

3 He runs back through the building, calls 911, and
4 goes back again to the door to take another look at the
5 fire. At this point his opinion is it's too large for him
6 to really attack with a fire extinguisher. Flames were
7 really starting to lick the top of what was a covered area,
8 which shows it in brown here where that Packaging Line 4 is.

9 Now, the emergency response was really quick.
10 Within seven minutes the first firefighters were on the
11 scene. In fact, the first firefighter on the scene was the
12 Pearland Volunteer Fire Department chief, and this is what
13 he observed from the -- where he was in the southeast corner
14 of the facility looking in.

15 He saw a pool fire or a ground fire in this area
16 here where there was a tank wagon and two box trailers of
17 empty drums. Dr. Zalosh will talk about this a little more
18 as we get into his part of the presentation.

19 He heard the sounds of containers failing and
20 rupturing, and also the tank truck that was parked here was
21 a 6,000 gallon tank trunk of a synthetic motor oil was
22 beginning to get cooked by that fire underneath it and was
23 starting to vent out of its top.

24 He then tried to back out and enter the facility

1 a little farther down, but the fire was really growing
2 quickly. The sounds of the fire and the explosion had grown
3 to this -- quite a bit by this point. He wisely backed off.

4 He called for mutual aid from the surrounding
5 fire departments and started to look at evacuation of the
6 neighbors. So in all, over 180 firefighters and support
7 personnel were involved in this incident, but really, there
8 was nothing they could do.

9 Closest supply of water for firefighting was over
10 one mile away. Firefighters were able to set up a water
11 shuttle system using portable tanks, and it was enough for
12 them to cool nearby structures, but the decision was made to
13 let the fire burn out until really all the 1.2 million
14 gallons of flammable and combustible liquids had been
15 consumed, and then they could safely approach and extinguish
16 the remaining fires.

17 This also had an advantage in that it minimized
18 the runoff of any contaminated water from the firefighting
19 efforts. While the facility was almost totally destroyed
20 and it will not be rebuilt, it was almost three days before
21 the residents closest to the plant could get back to their
22 homes.

23 Some of these homes required extensive internal
24 and external cleaning, and the environmental cleanup

1 activities went on for many weeks.

2 Here's a view of the facility from the morning of
3 May 1. You can see the amount of smoke that was being
4 generated from this fire. This was taken from the south,
5 looking towards the facility this way, with the tank farm
6 closest to us.

7 These tanks here were tanks that were unused.
8 They hadn't even been connected yet, so they were a set of
9 tanks that really got bypassed by the fire, were empty.
10 This is another aerial view. This is a little later in the
11 morning, but you can still see some wisps of smoke.

12 The predominant wind direction was from the
13 southwest to northeast, and that's pretty much how the fire
14 spread through the facility. This is the area back around
15 Warehouse 1, which we think was the source of the fire, and
16 you can see how it really went right through the facility.

17 A little corner of Warehouse 4 was left. A
18 little corner of Warehouse 2 was left. Those are those
19 tanks that weren't in use. And again, I'll point out the
20 proximity of the houses. House right here, there was two
21 garage. One garage had been converted into an apartment;
22 that was lost. A small welding shop over here, and again,
23 some of the neighboring houses.

24 Neither Alcohol, Tobacco and Firearms nor the

1 Chemical Safety Board could specify an exact cause or point
2 of origin for the fire. The extensive destruction made
3 identification of the cause next to impossible. ATF
4 considered the likelihood of arson as a fire cause but could
5 not make a conclusive determination.

6 An expert retained by Third Coast stated his
7 opinion that the fire started as an electrical fire in a
8 maintenance office which was inside Warehouse 1. Based on
9 our interviews with witnesses, eyewitnesses, we believe the
10 most likely source of origin was outside of Packaging Line
11 4, outside of Warehouse 1.

12 Again, though, for us the key issue was not how a
13 small fire started but why a small fire could not be
14 controlled and destroy the entire facility. And to take us
15 through that process, I'd like to turn over the podium to
16 Dr. Bob Zalosh, who will talk about that mechanism of fire
17 spread.

18 MS. MERRITT: Thank you.

19 DR. ZALOSH: Thank you, Dave.

20 I'd also like to thank the board for allowing me
21 the opportunity to participate in this investigation, become
22 reacquainted with my former colleagues on the CSB staff, and
23 to meet some of the new, capable staff members. Thank you.

24 I'm going to go through a series of evolutions in

1 which combustible liquid is released from the various
2 containers and tanks that were onsite to offer some idea on
3 the time scale of how the various and when the various
4 containers discharged their contents to cause the fire to
5 escalate dramatically from the point where Dave left off.

6 And I'll start with the containers that we were
7 told were involved outside of Warehouse 1 on Line 4 that had
8 been filled that evening, and those were, as you've seen
9 here, caught containers of motor oil, and the scales here,
10 of course, are distorted.

11 If you imagine a fire of the size that was first
12 observed by the security guard, engulfing or getting close
13 to the polyethylene containers of motor oil, we know from
14 series of fire tests that have been conducted over the last,
15 oh, 15, 20 years, there have been numerous test programs to
16 observe the failure modes, the failure times, and the nature
17 of the release from various containers.

18 We know in the case of polyethylene containers of
19 combustible liquids that the time to melt the container when
20 it's fully engulfed in a fire and allow the contents to be
21 discharged is approximate -- is less than 30 seconds.

22 So these various -- presumably, hundreds of these
23 caught containers are starting to release the motor oil and
24 cause the fire to start growing. We're also told that

1 another filling operation going on that evening was filling
2 of five-gallon containers or pails, if you will, of
3 hydraulic oil. The pails might have been plastic, mostly
4 polyethylene containers, or they may have been more steel
5 drum containers of the type shown here.

6 The breach time for a fully-engulfed polyethylene
7 container in a fire of this -- container of this size is
8 within the range 20 to 40 seconds, according to tests, for
9 example, conducted by the U.S. Coast Guard and other
10 organizations.

11 The breach time for five-gallon steel containers
12 -- it depends -- without any pressure relief opening,
13 depends on exactly how you characterize the breach; whether
14 it's going to be a minor release at the rim or at one of the
15 openings or a more catastrophic release at the bottom rim,
16 and it depends to some extent on what the liquid is in the
17 container.

18 But in general, tests conducted at Factory Mutual
19 Research Corporation, for example, under the sponsorship of
20 the National Fire Protection Research Foundation, show that
21 the breach times were in the range for most of them 150 to
22 320 seconds.

23 Now, these -- so two and a half to five and a
24 half minutes, and I'd sort of like people to keep in mind

1 that the time scales between, as Dave pointed out, between
2 when the security guard first saw the fire in the vicinity
3 of Line 4 made the 911 call and the arrival of the Pearland
4 Volunteer Fire Department was about seven or eight minutes,
5 so all these things are happening in that time period while
6 the fire department is on its way to respond.

7 When they did respond, the chief described a pool
8 fire that was in the vicinity outside of Warehouse 1, and
9 perhaps under the awning and outside the awning, engulfing
10 the tank wagon, and it was apparently in the -- of a width
11 of 60 to 80 feet wide, and in his opinion was,
12 understandably so, too large to approach with the very
13 limited firefighting capability they had on board and the
14 lack of onsite water.

15 So the challenge represented by a fire of this
16 size compared to the much smaller fire in the vicinity of
17 Line 4 first observed by the security guard makes a
18 tremendous difference in the viability of either manual or
19 even automatic suppression, and so things have really
20 escalated almost out of hand at this point.

21 But there are other larger containers that get
22 involved, and the exact sequence of which containers failed
23 when is overlapping here. But another key ingredient in
24 this mix of liquids being added to the fires was the

1 releases from the 55-gallon steel drums, of which there were
2 many, many in the various warehouses, including some in the
3 vicinity of Line 4.

4 And these drums, to our knowledge, don't have any
5 pressure-relieving devices, so when they do fail, they'll
6 have to fail either along the rim, the top rim, or would
7 have to fail at one of the bung openings on the top, or even
8 worse would be a failure along the bottom rim, because that
9 could produce and in fact did produce a rocketing of the
10 drums and -- so that can land far from their original site
11 and they can trail a large quantity of burning liquid that
12 will spread the fire from the immediate vicinity of where
13 the drum was.

14 The time that it takes, based on, again, fire
15 tests conducted over the years and storage -- warehouse
16 storage type environments for various liquids in 55-gallon
17 steel drums indicates that beginning to see some breach in
18 the two minutes and within about five minutes, they're going
19 to be -- there's going to be a major failure that can occur,
20 as I said, either at the top or along the bottom, and that
21 would produce either a -- depending on what the failure site
22 was and the pressure at failure, you know, some small vapor
23 which would be relatively innocuous addition to the fire or
24 a major escalation of a fire, both in terms of the quantity

1 of liquid released and the site of the fire.

2 This is a photograph of the remains of some of
3 the steel drums that were in the vicinity of Line 4. You
4 can see the breaching on the top lid in some cases, and the
5 continued exposure to the fire causes failure of the lateral
6 walls of the drum and breach into the well.

7 So these were just some of the drums that were
8 contributing to the fire at this point. Another key event
9 in the escalation of this fire was the tank wagon that was
10 sitting too close to Warehouse 1 and Line 4, and that
11 allowed the tank to be engulfed in this spreading pool fire
12 of combustible oils such that the fire chief reported seeing
13 the tank wagon engulfed and venting occurring from the tank
14 wagon.

15 This eventually caused the aluminum shell of the
16 tank wagon to melt, and the remains of the aluminum tank
17 wagon were just what you can see here. There's some
18 resolidified molten aluminum globules down there and then
19 just the frame of the tank wagon was all that remained when
20 the fire was over.

21 Another key event in the escalation of the fire
22 was one or more blending tanks located in the vicinity of
23 Line 4 outside Warehouse 1, and in fact, they were located
24 very close to the -- one of the nearest wall of -- the south

1 wall, I guess it was, of one of the diked areas in which the
2 large storage tanks were located.

3 The lack of protection, exposure protection, in
4 the form of either insulation, fire resistance, or water
5 spray exposure, allowed those -- and these were tanks on
6 legs, and that allowed those tanks to fail, to tip over.
7 The piping connected to those tanks also failed, as you see
8 in the photograph, and thus several thousand gallons of the
9 oils in the blending tanks were added to the still-growing
10 pool fires.

11 And also, the quantity of liquid released at this
12 point is sufficient to have the fire spread to encompass the
13 second nearest warehouse, Warehouse 2, and also to start
14 spreading to the tank farm and the storage tanks in those
15 tank batteries.

16 This is a photograph of what a fire -- this is a
17 much larger storage tank than the ones on site, but just the
18 difficulty in trying to cope with a large storage tank fire
19 is illustrated here.

20 And as Dave indicated, there was some 70-odd
21 tanks with capacities up to about 50,000 gallons, which one
22 by one were starting to fail and cause the further
23 escalation of the fire.

24 Here are some of the remains of some of the

1 tanks. I'll just sort of briefly go through what some of
2 the various modes of failure of these tanks were. Some of
3 them, as you can see from the photograph, are collapsed and
4 so some of those may have been tanks that were raised tanks
5 and the legs collapsed.

6 It could have been failure of a weakening of the
7 lateral walls of the tank. Steel loses about half of its
8 strength in terms of yield strength and at a temperature of
9 about 500 degrees C., the being engulfed in a pool fire
10 produces temperatures that are approximately double that.

11 So over a period of time, all of the load-
12 carrying capacity of the tank is diminished to the point
13 that they all started to fail. So besides collapse, it was
14 clear that the tops were blown off some of the storage tanks
15 because of a lack of any emergency venting, which is the
16 established, most commonly practiced way to prevent tank
17 failure, in addition to exposure control with water spray
18 and drainage and impoundment of the liquid to prevent an
19 unlimited-exposure fire.

20 In addition, the piping connected to the tank,
21 connecting the various tanks to the filling operations, were
22 breaching their pressurization of those lines. Any
23 remaining liquid, trapped liquid in the lines, will
24 eventually cause those pipes to come down.

1 As the tanks come down, they bring the pipes with
2 them, and so there's even further liquid released into the
3 burning liquid.

4 This is a view showing the relationship of
5 Warehouse 2 as it looked on the days following the fire and
6 the remaining standing storage tanks in the background.
7 There was no -- as you can see, it's aluminum cladding on
8 the walls of the Warehouse 2 and the others; a lack of
9 firewalls allowed the fire to spread -- penetrate into the
10 Warehouse 2 and the other warehouses.

11 The lack of automatic sprinkler protection, once
12 that fire get inside, allow the fire to cause further
13 release from raw materials; in this case, of Warehouse 2.
14 And in the other warehouses, for example, there were steel
15 drums stacked up perhaps, as indicated here, four high,
16 sometimes stacked directly on each other.

17 In other cases there was rack storage of these
18 smaller containers and perhaps of the drums. And so in
19 Warehouse 4, for example, and Warehouse 3 where the finished
20 products were located, you have these hundreds of thousands
21 of gallons of combustible liquid in these type of
22 containers.

23 A lack of automatic sprinkler protection or any
24 foam protection for that, and so as the fire penetrated the

1 warehouses, what's left of the drums is just a debris field,
2 as you see here, and perhaps the remains of some of their
3 racking, as racks from the storage, or the steel columns --
4 what were steel columns and beams supporting the warehouse.

5 There were also aerosol cans, storage of aerosol
6 cans, as you can imagine, go rocketing and produce fireballs
7 when they burst after a minute or so of direct fire
8 exposure, and various other containers, all of which were
9 found in debris fields for the various warehouses.

10 So what were some of the key factors that allowed
11 this level of escalation and development of the fire as we
12 understand it? First on the list here is the absence of any
13 onsite water supply.

14 An onsite water supply, proper training and
15 detection would have allowed what started as a relatively
16 small, manageable fire to get to the point where once the
17 fire department arrived, they didn't have any onsite water
18 to deal with a 60- to 80-foot, perhaps 300 megawatt
19 approximately, fire.

20 The lack of automatic suppression, both in and
21 around Warehouse 1, and the attached Line 4 allowed that
22 fire to grow. We know from dozens and dozens of fire tests
23 what kind of sprinkler protection are needed for combustible
24 liquids in small containers, and so there was no lack of

1 understanding of what would happen and how to prevent that
2 from happening with automatic suppression systems.

3 The inadequate separation of the tank wagon, the
4 aluminum wagon, from the Warehouse 1, Line 4, was a major
5 factor in releasing the contents, thousands of gallons of
6 contents from that wagon, and causing the pool fire outside
7 Warehouse 1 to start spreading to Warehouse 2 and to start
8 exposing the various storage tanks.

9 The lack of exposure fire protection for the
10 tanks and the various batteries. By exposure fire
11 protection, I mean, for example, monitor nozzles, deluge
12 systems that would keep the tanks cool and prevent that
13 weakening of the steel that causes the collapse of the tanks
14 and release such that the contents of 70-some-odd storage
15 tanks add to the fire.

16 The lack of firewalls and automatic suppression
17 systems in the four warehouses was still another major
18 deficiency factor that allowed the warehouse contents to be
19 lost entirely and hundreds of thousands of gallons of
20 additional combustible liquids to be the last perhaps
21 contributions to the fire.

22 Some of the factors -- other factors that were
23 important in this story in allowing this uncontrolled fire
24 spread was the lack of pressure-relieving devices on the

1 tops of the steel drums. Why is that an important factor?
2 Steel drums will eventually fail otherwise.

3 We figure it's an important factor in the minds
4 and tactics and strategy of the responding firefighters. If
5 they know that steel drums are going to be rocketing and
6 they can be rocketing hundreds of feet and represent a
7 threat to their people, then that will affect their decision
8 on where they would stay and how they would approach that,
9 and they did know and steel drums were rocketing and failing
10 much more catastrophically than they had to.

11 We know from fire testing that the presence of
12 pressure-relieving devices that will melt upon fire exposure
13 and allow just vapor to come out of the top of the tank
14 relieve the pressure that way rather than causing the whole
15 55-gallon contents to be released makes it much more viable
16 to have automatic suppression systems, and the NFBA-30
17 standards accounts for that in their requirements for
18 sprinkler protection for steel drum storage.

19 The lack of liquid runoff impoundment, as these
20 various containers were failing and contributing to the
21 fire, that just allowed more fire exposure and more fire
22 escalation as opposed to having some remote impounded area
23 that would prevent further exposure of the larger contents.

24 The lack of fire resistance on the legs of the

1 raised tanks caused the various raised tanks to topple over
2 and discharge their liquid contents. There is -- fire
3 resistance would have at least delayed that and allowed
4 perhaps some opportunity for manual exposure protection by
5 cooling the tanks.

6 The lack of emergency venting on the storage
7 tanks caused failure of the tops to blow off in the way that
8 they weren't intended to for these fixed roof tanks and to
9 further escalate the fire.

10 Emergency venting -- there are design guidelines
11 for the vent areas that would prevent that total loss of the
12 top of the tank's discharge of its contents. And finally,
13 the spacing of the tanks from Warehouse 1 and from the other
14 blending tanks and this inter-tank spacing just promoted the
15 spread of the fire from tank to tank until every one of the
16 tanks containing combustible liquid were lost and added to
17 the fire.

18 That concludes my story of the fire spread as we
19 understand it, and I'm supposed to ask for questions from
20 the board at this point. Be glad to try.

21 MS. MERRITT: Yes. At this time if you have any
22 questions for Dr. Zalosh or the staff, please -- we can ask
23 them now.

24 DR. ROSENTHAL: In simple terms, am I understand

1 that had normally-accepted fire codes that are in place in
2 many communities been in place here that this fire would
3 likely have been able to be controlled?

4 DR. ZALOSH: That's correct. The flash started -
5 - while we don't know the exact origin, we know from the
6 size of the fire first reported that it should have been
7 relatively easily controlled with automatic detection and
8 suppression systems that are commonly used in many
9 facilities -- storage facilities handling combustible
10 liquids.

11 DR. ROSENTHAL: Let me ask a second question. Do
12 -- this place was insured. Do insurance companies normally
13 take this into account in granting insurance?

14 DR. ZALOSH: Yes, they do. Most if not all of
15 the highly protective risk, highly preferred risk insurers,
16 insist on automatic suppression systems for a facility of
17 this type to preclude what happened -- exactly what happened
18 here by having automatic suppression system, automatic
19 notification of the local fire department, to put out what
20 any sort of residual fire that the support of automatic
21 suppression systems would not have put out.

22 That's a standard practice required by most
23 insurers, HPR insurers.

24 DR. ROSENTHAL: Thank you.

1 DR. TAYLOR: I'm just curious --

2 MS. MERRITT: Dr. Taylor.

3 DR. TAYLOR: -- I'm just curious. About how
4 often -- I mean, you've identified a lot of factors that
5 allowed this fire to spread. In your experience of
6 investigating other sites, how often do you find facilities
7 with lack of water supply, lack of firewalls, too close to
8 Warehouse 2 -- I'm just curious.

9 In your experiences, how often do you see a
10 facility like this?

11 DR. ZALOSH: I've never seen one like this. The
12 kind of facilities I get called in, there's usually a
13 question about whether the suppression system should have
14 had this pressure or that pressure and how many sprinkler
15 heads should have been designed for.

16 There are many questions about the details of the
17 design of the system, but I've never a facility totally
18 unprotected like this. There may have been, but I've never
19 seen it.

20 DR. TAYLOR: Okay.

21 MS. MERRITT: Mr. Bresland.

22 MR. BRESLAND: Dr. Zalosh, how common is the use
23 of pressure relief on 55-gallon drums? Is it quite common
24 or is it an option that people would have?

1 DR. ZALOSH: It is an option, and I think its use
2 is growing, in part because there are more -- it's more
3 widely available. People are -- the stories of how drums
4 fail with and without pressure-relieving devices is coming
5 out.

6 The NFPA-30 provides an incentive in terms of
7 reduced sprinkler protection. As an example, let me just
8 sort of relate a little story from the standpoint of fire
9 testing.

10 The guidelines for protecting drum storage and
11 these other containers that we've seen here are based
12 primarily on large-scale fire testing. And so you need to
13 have a facility with the capability resources to run a
14 large-scale fire test with having the confidence that
15 they're not going to destroy their test facility and
16 endanger their people.

17 And up until the advent of the pressure-relieving
18 drums, you couldn't find a facility that was willing to run
19 a large-scale fire test with these drums that could be
20 rocketing through the roof of their facility and the walls
21 of that.

22 But now the availability of these drums and the
23 willingness of -- growing willingness, I should say, of
24 people to use them allowed a large-scale test program to be

1 conducted here in Texas at the Southwest Research Institute
2 and establish the guidelines and the confidence in knowing
3 how to protect it.

4 So I don't know the actual numbers. All I can
5 say it's -- the growing awareness and the use of the
6 pressure-relieving option is increasing.

7 MR. BRESLAND: You talked about the risk of the
8 drums rocketing, the consequent exposure and danger to both
9 the neighbors, to the firefighters. Do you know if there
10 was any evidence of drums rocketing in this particular
11 instance?

12 DR. ZALOSH: I'm told that they found some drums
13 at various places around there.

14 Dave, do you want to add to that?

15 MR. HELLER: There were some drums that were
16 found in the yards of some of the neighbors across the
17 street.

18 MR. BRESLAND: Okay. Thank you.

19 MS. MERRITT: Dr. Poje?

20 DR. POJE: Bob, if you can give me a little bit
21 more clarity on a couple of these points. What would you
22 see as a better system of liquid runoff impoundment and what
23 would that add to the preventative or mitigative
24 potentiality of a better designed site?

1 DR. ZALOSH: Okay. The recommended design is to
2 have a remote impoundment area and to have channels that
3 will carry that -- the liquid from the tanks to that remote
4 area. There's channels or perhaps trenches or underground
5 piping to carry it to those remote areas.

6 And then the remote area itself would be
7 protected by, at the very least, it would prevent the
8 accumulation of the liquids exposing the tanks itself.
9 NFPA-30, the standard for combustibles under the liquid
10 storage provides specific guidance on, for example, the
11 pitch you need to get that and how much credit you get in
12 terms of reduced need for automatic suppression or exposure
13 protection or emergency venting when and if those remote
14 impoundment principles and guidelines are followed, and they
15 are used in places.

16 DR. POJE: And if I could also add on the spacing
17 of tank batteries, what kind of a more common approach would
18 be taken with IIIB, primarily IIIB tank fluids?

19 DR. ZALOSH: The spacing for the tanks depends on
20 the specific codes. NFPA-30 provides some spacing
21 guidelines. The Factory Mutual, one of the most well-known
22 highly protective risk insurers, has their own guidelines on
23 tank spacing.

24 It depends on the size of the tank, whether it's

1 a Class IIIB, as most of these were, or a Class IIIA, Class
2 II storage. But the principle involved is to allow the
3 access for water spray that could cool the tanks and prevent
4 the tanks from being heated to the point where the tops
5 would fail.

6 And the specific guidelines, they vary from three
7 or four feet on up to ten or 12 feet, depending on -- in
8 some -- the spacing depends on the size and they're given in
9 terms of, in some cases, the diameter of the tank itself.

10 So, for example, in some cases it's 50 to 60
11 percent of the tank diameter might be a spacing for a more
12 volatile liquids.

13 DR. POJE: And Dave, can you clarify for me --
14 were there any unusual operations that had been recently
15 brought into the facility? In other words, were there new
16 materials that came onsite in a relatively recent period?
17 Were there new lines in operation?

18 Was there something unusual about the approach to
19 business taken on April 30 that was different than the
20 approaches for the previous days and weeks?

21 MR. HELLER: No. We interviewed all the
22 employees and all the staff, and there was really nothing
23 unusual either in what they were doing or the materials they
24 were handling. It was all pretty routine that day.

1 MS. MERRITT: Dr. Taylor.

2 DR. TAYLOR: I just had one other question
3 regarding -- to David regarding -- you mentioned that the
4 community residents were evacuated. How were they alerted
5 about this? Well, I'm sure they saw it, but what --

6 MR. HELLER: Brazoria County sheriff's department
7 was out there in force and not sure exactly on the
8 mechanism, but certainly, there was enough people out there
9 to --

10 DR. TAYLOR: Were any of them affected in any way
11 or do you have any -- did we do anything in that regard to
12 find out whether --

13 MR. HELLER: There was a TCEQ, which was called
14 TNRCC back there last May, did extensive testing of the air,
15 of the groundwater, and even wipe samples of the soot
16 deposits on folks' houses. And they reported back to the
17 residents.

18 MS. MERRITT: Dr. Poje.

19 DR. POJE: Just one more clarifying point, Dave.
20 You mentioned that there were relatively few non-IIIB tanks
21 on site. Were there a trivial amount, 100 gallons or 200
22 gallons, or was it --

23 MR. HELLER: It was in the order of maybe 25 to
24 20, 30,000 gallons --

1 DR. POJE: Not a small amount.

2 MR. HELLER: -- 20,000 out of a total of 700,000
3 in the bulk storage area.

4 DR. TAYLOR: And also Dave, what was the contents
5 of the tanker?

6 MR. HELLER: Tanker was a synthetic motor oil, so
7 it was a IIIB combustibile in there.

8 MS. MERRITT: Okay. I have a couple questions,
9 Dave. Do you know -- the guard; had the guard been trained
10 as part of his job to respond with a fire extinguisher?

11 MR. HELLER: They had done that in the past, and
12 he had also discovered actually previous fires at the --
13 small. One was an electrical fire at the facility. So yes,
14 I think he was qualified to do that.

15 MS. MERRITT: So he was trained and knew how to
16 do that?

17 The other question I had is looking at your
18 diagram, I'm just kind of amazed at the number of tanks that
19 could be crammed into that small area. Can you tell me how
20 many tanks were in there in about -- I mean, the plant is
21 about seven acres. But how many acres is the tank farm
22 area?

23 MR. HELLER: The tank farm area is about an acre,
24 maybe an acre and a half. There was about 74 tanks in

1 there. Yes, they were close, and again, as Bob noted --
2 mentioned, the point is being able to get water on the other
3 tanks. But, of course, there was no water to --

4 MS. MERRITT: There wasn't any water. Right.

5 Did you have any questions? Was there anything
6 else? Any other questions? No?

7 Then Dave, would you continue, please.

8 MR. HELLER: Thanks, Bob.

9 I'd like to go now through really summarizing of
10 the key findings of our investigation. There's no evidence
11 that Third Coast conducted any formal fire protection
12 analyses, consulted fire protection experts, or reviewed
13 best practice publications, such as Bob mentioned, Factory
14 Mutual or other groups like industrial risk insurers.

15 The NFPA says in the flammable code that the
16 extent of fire protection and control provided for, for
17 example, tank storage facilities shall be determined by an
18 engineering evaluation of the installation and the operation
19 followed by application of fire protection and process
20 engineering principles.

21 And it's likely that a fire protection analysis
22 of this sort would have identified the shortcomings that
23 we've seen and prompted Third Coast to evaluate how best to
24 eliminate the hazards and mitigate those consequences.

1 Third Coast did not have any automatic smoke or
2 heat detectors in operating or warehouse areas like we have
3 in our houses. Smoke and heat detectors can be set up to
4 automatically notify a central dispatch office.

5 And again, if the fire had been detected in its
6 earliest stages, it's likely that -- the fire department was
7 there really fast -- that they would have had time to have
8 done something to keep that -- to take care of it while it
9 was small before it started to affect these other
10 containers.

11 And of course, a major factor was the lack of
12 water on site. The closest source of water -- fire hydrants
13 over a mile away in Friendswood. As a result, neither
14 manual or automatic fire suppression was available.

15 Manual fire suppression would be fire hydrants or
16 other sources of water for the fire department use.
17 Automatic fire suppression is sprinkler systems. And water
18 could have been made available in a number of ways. Some
19 facilities will put a pond on their site, a large pond, or
20 even large storage tanks just for firefighting water.

21 And the fire department trucks can pull right up
22 to the ponds, stick one end of their hose in the pond.
23 There's a pump on their truck to boost up the pressure, and
24 that's how they -- that's where they get their water for

1 fighting fires.

2 Now, consensus fire codes are used in most states
3 and municipalities to provide a basis for designing and
4 operating facilities to prevent and mitigate fires. Fire
5 codes can cover residential properties. They can cover
6 public buildings, commercial facilities and industrial
7 facilities also.

8 The consensus process means that groups of
9 firefighters or builders of buildings and equipment
10 manufacturers, fire equipment designers, professors, and
11 fire experts, to name a few, will get together and they meet
12 -- these codes are upgraded on a regular basis, every three
13 to five years, typically.

14 And that's because the science and technology of
15 fighting and preventing fires is continually evolving.
16 Well, in the United States, the key code for -- key
17 consensus code for flammable and combustible liquids is the
18 NFPA-30 code.

19 It's widely accepted, and it serves as the basis
20 for fire protection requirements in many other codes. Now
21 typically, the flammable and combustible liquids code forms
22 part of a larger code which covers all sorts -- again,
23 covers residential and commercial and all types of
24 facilities.

1 So for NFPA, the overarching code is the
2 NFPA-1, the uniform fire code. Flammable and combustible
3 liquids is one piece of that. Now, some might be familiar
4 with some of the older regional codes and building codes in
5 the United States.

6 The Southern Fire Prevention code I think has
7 been used down here in this area. In the Northeast we had
8 the BOCA code. And now in the past couple of years, these
9 organizations have developed and maintained these regional
10 codes.

11 They've merged, and they've formed what's now
12 called the International Code Council, and they've developed
13 the International Fire Code, and that's also now gaining
14 acceptance.

15 Well, the consensus fire codes represent good
16 practices in various areas of fire protection and
17 prevention, and the Chemical Safety Board, as we noticed --
18 as we saw on what Bob presented -- identified many areas
19 where Third Coast fell short of these practices.

20 No fire prevention analyses, no source of water,
21 inadequate drainage of containment. And again, the storage
22 tank design, the warehouse design. Again, if Third Coast
23 had complied with these good practices, it's likely that the
24 fire spread would have been limited to that Warehouse 1

1 area.

2 Now, in our research in support of this
3 investigation, we also identified several aspects of the
4 NFPA-30, the flammable and combustible liquids code, and the
5 International Fire Code that we believe should be studied by
6 these organizations to determine if changes are warranted to
7 improve their codes and to help mitigate and prevent further
8 incidents of this type.

9 So specifically, requirements for fire protection
10 analysis are not clearly delineated in these codes. The
11 codes do not specify requirements for fire detection,
12 especially for facilities like Third Coast that were not
13 staffed around the clock and did not have any automatic fire
14 suppression.

15 And finally, Class IIIB liquids, again, those
16 lowest class of combustible liquids, they're exempted still
17 from many of the requirements that are imposed on more
18 flammable classes of liquids. The amounts of storage
19 allowable in various size buildings and the need to evaluate
20 the risks associated with these materials -- there are some
21 exemptions for those products.

22 There was a code that Third Coast should have
23 been complying with at the site here, and that was OSHA's,
24 the Occupational Safety and Health Administration's

1 1910.106, their flammable and combustible liquids code.

2 It's one of OSHA's original codes. It was
3 promulgated in 1974 and it was based at that time on the
4 1969 version of NFPA-30. As we talked about a consensus
5 process, NFPA-30 has undergone significant changes since
6 1969, and again, based on full-scale fire tests and based on
7 actual investigations of incidents.

8 But the OSHA standard has not been updated in
9 that time. The OSHA standard specifically exempts Class
10 IIIB combustible liquids from coverage, and that was in
11 keeping with the 1969 version of NFPA-30.

12 But as we saw, since Third Coast had some more
13 flammable materials on site, the requirements of 1910.106
14 were applicable to Third Coast. Now, OSHA did not cite
15 Third Coast for violations of 1910.106. At the time of the
16 fire, there were no employees on site. No one was at risk
17 from the employees.

18 And also, OSHA could not establish all the legal
19 elements that are required for issuance of a violation.
20 OSHA did warn Third Coast that 1910.106 was applicable.

21 Despite the problems of out-of-date regulations,
22 CSB has determined in this case that if Third Coast had been
23 in full compliance with 1910.106, in all probability would
24 have been sufficient safeguards to again prevent the spread

1 of the fire.

2 Compliance with -- prevention would have been
3 better if Third Coast had been looking at the current NFPA-
4 30 or compliance with an OSHA standard that was upgraded to
5 meet the requirements of the current NFPA-30. Again, would
6 have enhanced the ability to stop the fire's spread.

7 Now, OSHA is aware that 1910.106 is out of date
8 and does not reflect improvements in fire safety science and
9 technology. OSHA is also aware, obviously, that Third Coast
10 was covered by 106. But there are other facilities that
11 contain only Class IIIB combustibles that would not come
12 under the OSHA standard, and they would pose grave risks to
13 workers and the community and firefighters.

14 The Chemical Safety Board has prepared a letter
15 to OSHA, pending adoption of this report, to express our
16 concerns regarding the need for them to -- for OSHA to
17 update the 1910.106 code.

18 Now, Third Coast really only had to comply with
19 the OSHA code. There was no other code that really applied
20 to that facility. Fire codes such as the NFPA code or the
21 International Fire Code are used in most states and many
22 localities to provide a basis for designing and operating
23 facilities to prevent and mitigate fires.

24 In Texas, fire and building codes are not

1 enforced on a statewide basis. It's the responsibility of
2 the counties and municipalities to adopt and enforce the
3 codes. For a county of Brazoria's size, Brazoria County's
4 size, the ability for them to adopt a fire code was only
5 granted by the Texas law in 1997.

6 So before that time Brazoria was prohibited from
7 adopting a code that would be applicable in unincorporated
8 areas. We believe if a fire code had been in place in
9 Brazoria County during the construction of the Third Coast
10 facility and as it was expanded through the years, again,
11 it's likely that a specified level of protection in the
12 codes would have been sufficient to reduce the severity of
13 the fire, thus allowing firefighters time to respond and
14 limit the damage.

15 We believe that adopting the fire code now in
16 Brazoria County will help prevent or mitigate future fires
17 in the area.

18 I'd like to go on to the root and contributing
19 causes, but first let me ask if you have any more questions.

20 DR. TAYLOR: I have a couple.

21 MS. MERRITT: Dr. Taylor.

22 DR. TAYLOR: I have two questions, Dave, for you.

23 One is that last slide that you showed -- I'm still a
24 little confused about. You say that the company did not

1 have to comply -- they're not required to comply with fire
2 codes because they're in a nonincorporated area or --

3 MR. HELLER: Right.

4 DR. TAYLOR: And then Brazoria County did
5 not --

6 MR. HELLER: Yes. Until 1997, only counties of
7 more than 250,000 population in Texas could adopt a fire
8 code for unincorporated areas.

9 DR. TAYLOR: 250,000?

10 MR. HELLER: This is for counties.
11 Municipalities, cities is different. The City of Pearland
12 has a fire code. The Third Coast Terminal's facility inside
13 the city of Pearland complies with that, which is going to
14 be the International Fire Code. Now it's the Southern. But
15 still, they're complying -- they're in a city.

16 Outside the cities in these unincorporated areas,
17 Brazoria County until 1997 couldn't do anything. After '97
18 the law was changed to that a county under 250,000
19 population -- Brazoria's I think 240, maybe, right now --
20 but next to a larger county, Brazoria's right up against
21 Harris County. They can adopt a code.

22 This was designed for the suburban counties
23 around the large municipal areas that are seeing the growth
24 to allow them to adopt fire codes.

1 DR. TAYLOR: So then just one point of
2 clarification. So now is this company -- I know they're not
3 rebuilding, but if they rebuilt in this area now, there
4 would be fire codes that they'd have to comply to or not?

5 MR. HELLER: Not today, no. Not -- no. Not
6 unless Brazoria County does adopt a fire code.

7 DR. TAYLOR: Okay. That's good. Thank you.
8 Then my second question goes back to an earlier -- where you
9 talked about the fire protection analyses. In your report
10 you did mention it here that the Pearland Voluntary Fire
11 Department had conducted a pre-plan assessment, and they had
12 suggested to the company that they needed to install early
13 warning devices; that they also needed a water source.

14 But I guess because they're not -- can you
15 explain that for me, please?

16 MR. HELLER: Pearland did what we call really a
17 pre-planning visit. It's more designing -- more for the
18 firefighters to see, Well, if I did have to go in here and
19 fight a fire, what am I facing? Where are the tanks, where
20 do I hook up my truck for water? Well, nowhere, but those
21 kinds of pre-planning issues to know how best to attack a
22 fire if they do have to go in there.

23 Where -- and as they're going through, they
24 noticed, Hey, there's no detection. There is no water, and

1 these -- really, there was no authority for the Pearland
2 Volunteer Fire Department or for any jurisdiction really to
3 hold Third Coast to any of these recommendations.

4 DR. TAYLOR: And so the company could not -- did
5 not respond because they didn't have to?

6 MR. HELLER: Well, like, they didn't have to --
7 we don't know if they ever responded to the fire department,
8 but there was certainly no changes made at the facility.

9 MS. MERRITT: John, do you have a question?

10 MR. BRESLAND: Yes. Following up on Dr. Taylor's
11 question, do we have a copy of the Pearland Volunteer Fire
12 Department's assessment that they did?

13 MR. HELLER: Yes.

14 MR. BRESLAND: That's in writing?

15 MR. HELLER: Yes.

16 MR. BRESLAND: And they supplied that to the
17 company?

18 MR. HELLER: I believe so. Yes. Sure.

19 MR. BRESLAND: But the volunteer fire department,
20 if I understand you correctly, didn't have the authority to
21 require some actions as a result of that inspection?

22 MR. HELLER: That's right.

23 MR. BRESLAND: Were there any followups to that
24 inspection that you're aware of?

1 MR. HELLER: Not to my knowledge. There have
2 been a few times when they've been out to the plant; again,
3 for a small electrical fire and a few other very minor
4 incidents but -- that they had responded to.

5 MR. BRESLAND: This question is either for you or
6 for Dr. Zalosh. Were there any insurance inspections done
7 on the facility?

8 MR. HELLER: We were not supplied with any by the
9 company. They'd had -- they had had inspections for their
10 workers' comp coverage to cover issues like, you know,
11 safety issues. Really didn't cover any of the fire
12 protection issues.

13 MR. BRESLAND: Well, let me just direct this to
14 Dr. Zalosh then. Would it be unusual in your experience in
15 the insurance industry for an insurance company to supply
16 coverage to a facility that has, as I understand, a million
17 gallons of flammable and combustible materials but also
18 doesn't have any sort of fire protection, doesn't have any
19 fire water available within a mile?

20 DR. ZALOSH: It's very unusual in my
21 understanding -- that's right -- not to have had an
22 inspection and some requirements as a basis for coverage.

23 MR. BRESLAND: Would you like to speculate on how
24 they got insurance in this case?

1 DR. ZALOSH: I'd rather not. But these are
2 business decisions that are made where underwriters have to
3 make decisions based on premiums and deductibles and
4 reinsurance. So there are many business decisions as part
5 of that coverage that -- so that any one company might limit
6 its exposure.

7 And exactly -- I didn't -- I've no information on
8 the particulars in this case to know how those decisions
9 were made and what guidelines or what knowledge they had
10 about it.

11 MR. BRESLAND: Do we know in this -- in the case
12 of Third Coast at this facility if they had to pay unusually
13 high premiums for fire insurance as a result of not having
14 appropriate fire protection?

15 DR. ZALOSH: I'm sorry. I don't have any
16 information on the premiums.

17 MR. HELLER: No.

18 MS. MERRITT: Are there any other questions?

19 Dr. Poje.

20 DR. POJE: My observation from those comments are
21 that the insurance industry may not be the best provider
22 here of assuring fire safety protection, at least at this
23 facility.

24 But Dave, can you clarify for me -- I appreciate

1 your analysis of the evolution of fire codes, and seems like
2 evolution is likely to continue apace, as to what the
3 relationship might be between NFPA-30 and the International
4 Fire Code?

5 Are they divergent approaches or do they have
6 complementarity to them?

7 MR. HELLER: They're very complementary. In
8 fact, the International Fire Code does refer even to the
9 NFPA-30, which is really very technical to that just
10 flammable and combustible liquids piece, so there's
11 references in the International Fire Code to various NFPA
12 codes. They do work together

13 DR. POJE: I also want to compliment you and the
14 team for the analysis around the 1910.106 relationship on
15 this case, and I do want to make the observation to
16 ourselves as board members that I think there is a fairly
17 significant issue that may not have standing in terms of our
18 own process of this investigation to speak to OSHA.

19 But I personally would encourage the chairperson
20 to consider a letter on behalf of the board in regards to
21 matters of lagging federal standards not incorporating the
22 better knowledge and scientific information that would
23 improve our scope of fire protection.

24 And so I just encourage us all to be conversant

1 on those matters. I've had multiple discussions with the
2 team about such issues and would be very supportive of a
3 letter completing our work here to go forth to the Assistant
4 Secretary.

5 MS. MERRITT: Yes. That letter will be prepared
6 and is in the process of being prepared for Mr. Henshaw.

7 Also, I have a question concerning -- has this
8 site ever been inspected by OSHA? Were they ever cited for
9 lack of fire protection?

10 MR. HELLER: They were never cited on their --
11 for fire protection, no. No. I don't know if OSHA had been
12 out there. They might had been out there previously, but --

13 MS. MERRITT: Okay. Any other questions?

14 DR. ROSENTHAL: The question that I would raise
15 to staff and Bob Zalosh.

16 The fire codes are primarily addressed at
17 protecting the property and the insured. Am I correct, Bob?

18 DR. ZALOSH: Yes.

19 DR. ROSENTHAL: They don't deal with necessarily
20 the issue of possible injury to people off the property?

21 DR. ZALOSH: Yes. There are aspects of the fire
22 codes that deal with distance to the property line and that
23 sort of things which have the intention of public safety
24 considerations. There are portions of that.

1 But the codes are drawn up by a committee, and
2 the participation of the committee influences what goes into
3 the code. And the kind of people who have determined or
4 whose organizations support their participation in the
5 committee tend to be heavily influenced by the user
6 community, the manufacturing community, and the insurance
7 community.

8 The public safety officials really have minimal
9 involvement in the actual writing of the code, so the codes
10 try to address public safety issues, but they don't have the
11 benefit of the public safety professionals participating in
12 those codes.

13 DR. ROSENTHAL: So that the costs to the public
14 are not necessarily as fully internalized into the standard
15 as -- such as the effects of release of materials into the
16 environment or to the air as might be the direct costs to
17 the insured parties. Is that a reasonable --

18 DR. ZALOSH: Yes. There are -- the
19 considerations with the -- far as the environment usually
20 comes out as a result of a notice of intent on the part of
21 EPA to limit this fire suppressant agent or another agent or
22 limit, for example, the -- prevent the recycling of
23 particulates for dust collection systems; those kind of
24 things.

1 Once a federal or state agency issues its concern
2 about the environment, that's the point at which the fire
3 codes address them. There's no anticipation of that and
4 very little proactive working on dealing with the
5 interaction and tradeoffs between environmental issues,
6 public safety issues, and onsite issues.

7 DR. ROSENTHAL: Thank you.

8 MS. MERRITT: Thank you.

9 Then we'd like to go on to -- I think it's
10 recommendations?

11 MR. HELLER: I have the root and contributing
12 causes.

13 MS. MERRITT: Root causes? Okay.

14 MR. HELLER: Really summarizes what we've seen.

15 Again, our focus was on why a small fire could
16 not be contained and led to the total destruction of the
17 facility.

18 Our first root cause: Third Coast did not have a
19 management system in place to identify or analyze fire
20 hazards that could affect the plant, its employees, and the
21 surrounding community and the environment. And again, lack
22 of an adequate fire analysis, fire protection analysis, that
23 would have identified the issues we've been discussing.

24 Secondly, Third Coast did not have adequate

1 measures in place to contain or control fires that could
2 reasonably be expected to occur -- small fires -- with
3 resulting effects, again, on the facility, community and the
4 environment.

5 And more specifically, there was an inadequate
6 system of fire suppression to control the small initial fire
7 of the stock from spreading. Again, no onsite water, no
8 smoke or heat detection, no manual or automatic fire
9 suppression systems.

10 Another part of that root cause -- inadequate
11 control measures to limit the spread of the fire. And
12 again, as we saw in Dr. Zalosh's presentation, the tank
13 truck with the synthetic motor oil was too close to Blending
14 Line 4.

15 The blend tank support legs lacked fire
16 protection. No containment, or inadequate containment or
17 drainage to direct the liquids away from pooling underneath
18 these tanks and heating them, turning to the fire and moving
19 -- or liquids moving towards the warehouses. And then the
20 design of the tank farm and the warehouse.

21 And lastly, a contributing cause, which is that
22 Brazoria County authorities did not have laws or regulations
23 that required Third Coast to comply with widely-accepted
24 fire codes. And again, I'd like to note that it was not

1 until 1997 that state law was able to allow Brazoria County
2 to enact a fire code for unincorporated areas, and most of
3 the Third Coast facility had been built prior to this time.

4 If there are any questions? Otherwise, we'll go
5 into Jordan's recommendations.

6 MS. MERRITT: Yes. Let's proceed.

7 MR. HELLER: Okay.

8 MS. MERRITT: Thank you.

9 MR. HELLER: Jordan Barab will now present the
10 staff recommendations.

11 MR. BARAB: Thank you, Dave.

12 Good morning, Madame Chairman, board members, Mr.
13 Jeffress and Mr. Warner. The Chemical Safety Board doesn't
14 just investigate incidents. We also issue recommendations.

15 We're not a regulatory agency. We can't impose standards
16 or regulations.

17 However, one of the most important jobs of the
18 Safety Board is to make recommendations that seek to address
19 many of the root and contributing causes that were just
20 pointed out.

21 I will now present the staff recommendations with
22 relation to Third Coast Industries. Staff recommendations
23 are the primary tool used by the board to motivate
24 implementation of safety improvements that can prevent

1 similar future incidents that could endanger the lives, the
2 communities, the environment, and as Dr. Poje mentioned,
3 also jobs as well as the economy.

4 These recommendations are directed to the
5 Government, corporations, trade associations, safety
6 organizations, labor unions, and others. CSB's independent
7 accident investigation process identifies many of the trends
8 and issues that may be otherwise overlooked.

9 Board recommendations address not only the
10 specific issues that may have caused the incident, such as
11 we saw here and such has been reviewed by Mr. Heller and Dr.
12 Zalosh, but we also try to address changes -- needed changes
13 in the management systems that could not only have prevented
14 the specific incident but could also prevent similar
15 incidents as well.

16 The research into these issues, which includes
17 consulting with experts and best practices, Government
18 regulations as well as fire codes. The recommendations
19 staff not only helps develop the recommendations but we also
20 work with the recipients of the recommendations to see that
21 they are adopted.

22 These recommendations can only be adopted by a
23 vote of the board, and they can only be closed by a vote of
24 the board as well.

1 I will now go through the recommendations that
2 we're making based on the Third Coast Industries incident,
3 and I'll also explain a little bit about the background and
4 the rationale for making those recommendations.

5 First recommendation is to Third Coast
6 Industries. As I think was pointed out, Third Coast
7 Industries' facility at Friendswood was totally destroyed
8 and is not being rebuilt. This recommendation, therefore,
9 is addressed to the other Third Coast facility that is
10 located in Pearland, Texas.

11 I'll read the recommendation. Audit the Third
12 Coast Terminal's facility in Pearland, Texas, in light of
13 the findings of this report. Take action to ensure that the
14 facility's fire suppression and control procedures are in
15 accordance with the relevant requirements of the
16 International Fire Code and OSHA Standard 1910.106.

17 As we just heard from the report, there were a
18 number of issues, a number of factors, where the Third Coast
19 facility was not in compliance with either the International
20 Fire Code, any fire codes, or OSHA Standard 1910.106.

21 Just to list these, those include the lack of
22 onsite water, fire detection, drainage and containment of
23 large liquid spills, location of the tank wagon, separation
24 of storage tanks, and, of course, warehouse firewalls.

1 All of these would have been required by either
2 OSHA Standard 1910.106 or the International Fire Code or the
3 NFPA. And again, we are requesting -- we are recommending
4 that Third Coast audit its facility, which means basically
5 inspect its facility to make sure that they are in
6 compliance with these codes.

7 The next two recommendations are directed at the
8 two major codes -- associations that develop fire codes,
9 both the NFPA and the International Fire Code. The
10 recommendations are the same for both, and I will go through
11 them both and then explain the background.

12 First, revise an FPA-30 flammable and combustible
13 liquids code to address the following issues. For
14 facilities that are not staffed around the clock, specify
15 circumstances where automatic fire detection is needed.
16 Narrow the exemptions for Class IIIB liquids and strengthen
17 fire protection analysis requirements.

18 International Fire Code Council, Incorporated.
19 Again, revise the International Fire Code to address the
20 following issues. For facilities that are not staffed
21 around the clock, specify circumstances where automatic fire
22 detection is needed. Narrow the exemptions for Class IIIB
23 liquids and strengthen the fire protection analysis
24 requirements.

1 As I've just related, there are a number of items
2 within NFPA-30 and IFC that we've identified in this report
3 that could be improved upon that would enhance the ability
4 of such facilities to prevent such incidents. Let me go
5 through these.

6 Again, better fire protection might have provided
7 firefighters with enough time to contain a small fire. As
8 was related, this fire occurred at night. Luckily, the
9 security guard did identify the fire when it was still at a
10 fairly small stage.

11 Unfortunately, by the time the fire department
12 got there, because again of the lack of a lot of protections
13 that would have been recommended or required by the fire
14 codes or by OSHA, the fire had spread to the extent that
15 they were not able to put it out.

16 And again, had the security guard not been there,
17 it's unclear how far the fire would have spread by the time
18 somebody had noticed that it was burning and what kind of
19 destruction and what kind of other problems and implications
20 it would have had for the surrounding community.

21 Again, we feel that for these facilities that are
22 not staffed around the clock, some kind of automatic fire
23 detection is needed.

24 Mr. Heller and Dr. Zalosh also related that there

1 their counties. This facility was built in the 1980s.

2 Brazoria County being a county that is adjacent
3 to a larger county was not given the ability to impose fire
4 codes until 1997, and therefore, it's of course highly
5 questionable what effect that would have had specifically on
6 the Third Coast facility.

7 Nevertheless, as I mentioned before, our
8 recommendations are targeted at larger issues, at basic
9 management issues, that are intended not only to prevent the
10 incident that we're investigating but also to prevent other
11 similar incidents.

12 Therefore, we've recommended that Brazoria County
13 adopt the fire code in order to prevent such further
14 incidents at other facilities.

15 Finally, as is our custom to facilitate broad
16 communication of our investigations and recommendations,
17 we're recommending to the following organizations that they
18 communicate the findings and recommendations of this report
19 to their membership.

20 Now, these -- there's quite a list there of
21 associations and other parties. They're basically broken
22 down into three different -- three or four different groups.

23 We have industry associations, whose members run similar
24 operations as Third Coast, and again, they need -- we're

1 trying to emphasize to them and for them to emphasize to
2 their members the importance of compliance with these fire
3 codes.

4 We also have a group of Government agencies that
5 we're trying to also address these recommendations to, and
6 again, emphasizing the importance of fire codes and the
7 ability -- the need for the ability to enforce these best
8 practices and safe conditions.

9 We're also addressing these recommendations to
10 at-risk workers, and again, we have a fire department -- I'm
11 sorry; a union that represents firefighters as well as an
12 association that represents volunteer firefighters.

13 Finally, of course, the insurance industry needs
14 to also be aware of the fact that there are many facilities
15 that do not -- are not in compliance with fire codes or with
16 OSHA standards, and they need to take that into account as
17 well.

18 So again, let me go through the organizations to
19 which this recommendation is targeted. Again, we're
20 recommending that these associations communicate the
21 findings and recommendations of this report to their
22 membership.

23 The Petroleum Packaging Council, Independent
24 Lubricant Manufacturers Association, the American Petroleum

1 Institute, the National Association of Chemical
2 Distributors, the National Association of Counties, the
3 International Association of Firefighters, the National
4 Volunteer Fire Council, the National Association of State
5 Fire Marshals, the Risk and Insurance Management Society.

6 Thank you very much. That concludes the
7 recommendations the staff is proposing. If the board has
8 any questions I'd be glad to answer them at this time.

9 MS. MERRITT: Does anybody have any questions
10 from the board?

11 DR. ROSENTHAL: Yes. There's something that --

12 MS. MERRITT: Dr. Rosenthal.

13 DR. ROSENTHAL: -- struck me during the course
14 of listening to your report. What occurred with Third Coast
15 had their standard gone in even in 1997 and there would have
16 been no authority to have compelled Third Coast to
17 retroactively introduce these measures.

18 And I wonder if a recommendation to these
19 interested parties, including the Risk and Insurance
20 Management Society, which is the one group we have there
21 from the insurance, should be to reexamine or have their
22 members reexamine their own facilities in the light of the
23 findings and destruction that occurred at Third Coast,
24 rather than have them -- you know, you would hope that they

1 would conclude, seeing what happened to Third Coast, that
2 maybe they ought to look at their own places.

3 But sometimes people do not necessarily arrive at
4 the obvious, and it just struck me what you think might be
5 the downsides of putting in, besides communicate findings or
6 recommendations to members, to reexamine their own
7 facilities in the light of the findings and see if they
8 believe they are still adequate.

9 MR. BARAB: Well, let me put it this way. The
10 code associations recognize the difficulty in making
11 retroactive codes, and they address that problem. The
12 insurance companies, and they are again more prospective in
13 terms of facilities that are being built, the insurance
14 companies, my understanding, look at not what should be in
15 the future or what kind of things you're building but what
16 is right now and will base their insurance already on what
17 is.

18 And therefore, again, it's my understanding that
19 that more or less builds in improvements that need to be
20 made, whatever the codes were when the facility was built.
21 I don't know if anybody is more familiar with the insurance
22 industry, but again, that's my understanding.

23 DR. ROSENTHAL: No. My point is I recognize they
24 don't have to do anything that's more expensive to do. But

1 sometimes, you know, after the horse escapes you lock the
2 barn door. You need an incident to trigger -- here's an
3 incident that triggered a major loss and perhaps reexamining
4 their facilities, even if they don't have to do it legally,
5 et cetera, triggered by this incident might cause them to
6 reexamine and take a little different look at what they
7 don't have to do and say, Maybe we ought to do it anyway.

8 MS. MERRITT: Are there any other comments?

9 I have one. Dr. Zalosh, you mentioned that these
10 code councils get together, and they are primarily
11 represented by insurance and manufacturing and what-not.
12 And they're not very well represented for public interest.

13 I don't see that we have a recommendation up
14 there, and I'm sorry I didn't think about it before now, but
15 would it be wise to recommend to this council to make a
16 concerted effort to include public interest and emergency
17 responding organizations so there might be that voice also
18 in the creation of these codes?

19 DR. ZALOSH: Just one brief comment on that.
20 There's no restriction on the part of the consensus code
21 organizations from having these organizations participate.
22 The pragmatics of the situation are that the meetings are
23 usually held at a time, requires a travel budget, requires
24 some time away from the fire station and so forth, and it's

1 usually those cost factors and personnel factors that
2 prevents more participation from the public safety
3 community.

4 So if there's some recommendation you can make
5 about that it would be useful. But the organizations
6 themselves do try to encourage participation. The problem
7 is one of pragmatics of the cost and time to participate in
8 the actual writing of the standards.

9 MR. HELLER: Other than membership on the
10 committees themselves, the codes -- the code councils and
11 the organizations -- do accept comments or suggestions for
12 improvements to the codes from the general public and from
13 other organizations and from us or whoever.

14 We can all participate in the code-writing
15 process.

16 MS. MERRITT: Okay. And is that published in the
17 Federal Register or how are people notified of those code
18 changes?

19 MR. HELLER: The code -- the NFPA publishes their
20 -- they're pretty open about their proceedings of what
21 comments they'd receive and what they are acting on and how
22 they vote on the various proposals.

23 DR. ZALOSH: In the case of the NFPA, anybody can
24 submit a comment on a proposed change to a code or on the

1 need for proposed changes. The actual -- the code itself is
2 developed by a committee of, I'd say, 20 to 30 people, and
3 then that code -- the proposed new revised code is presented
4 to the organization as a whole -- the National Fire
5 Protection Association.

6 And any member of NFPA can vote on the adoption
7 of that code. At that point, you have to be an NFPA member.

8 And there again, to vote on the code you have to be
9 physically present at the meeting that's held twice a year,
10 and so usually, only the local firefighting organization or
11 emergency response organization is actually present at the
12 final vote of a code adoption.

13 MS. MERRITT: Yes, it might be worthwhile for us
14 to issue a letter or something to the affected public
15 organizations encouraging them to participate. So maybe
16 that's something we could think about doing.

17 DR. ROSENTHAL: I think that could be valuable,
18 but am I correct that this is meant to be a consensus
19 standard and that there are broad rules and consensus
20 standards that almost require that you invite all interested
21 parties in, and that unless you make a sincere effort to do
22 this, you can't go?

23 DR. ZALOSH: You are correct. My understanding
24 is that all consensus codes have to have some makeup of the

1 committee that includes representation by all the important
2 interest groups and at least allow that. But the -- I'm not
3 sure if there's any restriction on the adoption of the code
4 if after opening it up you don't achieve that distribution
5 of interest among the committee members.

6 MS. MERRITT: Thank you. I think that the -- and
7 we probably need to know a little more about this. It would
8 be interesting, I think, for us to research this a little
9 bit also, but we as a board could issue a letter or
10 communication with regard to this to the agencies and
11 organizations to try to broaden this a little bit.

12 DR. POJE: I do also appreciate the
13 practicalities that are difficulties in getting fuller
14 participation, particularly from organizations that are not
15 as resourced to be stakeholders at the table, if you will,
16 in those discussions.

17 I did want to make another couple of
18 observations. I appreciate the depth of thinking that's
19 gone into this area of communicating the findings of this
20 report to a broader suite of parties. I think it's also
21 exemplary of a maturation of the board's staff in being able
22 to think broadly how to have a preventative impact.

23 Within that suite of organizations, there are
24 some to whom we have already issued similar such

1 recommendations in the past, and I would hope that the staff
2 would build off of that as they communicate this work to
3 those organizations.

4 For example, in the Herrig Brothers incident with
5 the propane tank levy in the State of Iowa at an
6 agricultural operation, recommendation was given to the
7 International Association of Firefighters for communicating
8 the results.

9 Not only did they take the effort to communicate
10 the results via notification to their members on their
11 newsletters, they also conducted an effort to get into
12 firehouses all over the country a more rigorous analysis of
13 the Herrig Brothers incident and the prevention
14 recommendation such that it became viewed in the firehouse
15 during the downtime for all sorts of firefighters,
16 volunteers as well as union firefighters, in a way that I
17 think is a very powerful prevention message with more
18 reality behind it than just saying, Here's a Website. Go
19 look at it.

20 American Petroleum Institute has invited the
21 Chemical Safety Board, and I think Dave, you did present to
22 them in last year's major meeting dealing with storage
23 tanks, coming out of the Motiva investigation.

24 It's sort of using the voice of the board to get

1 further penetration into the most particular communities so
2 that they fully understand the facts as we have outlined
3 them here today and can appreciate the context and urgency
4 of implementing those recommendations.

5 So there are some new organizations who are new
6 to the board and who will be new for us in meeting with them
7 who I think could benefit from understanding the potential
8 strength of the meaning of the word communicate the findings
9 and recommendations of this report, and we may learn better
10 ways from discussing with them how to reach for the
11 prevention end.

12 MS. MERRITT: Thank you.

13 In order to get back on schedule, I think we will
14 forego our break and go right into public comment. And I
15 have the names of people who have registered. If you would
16 still like to comment, please go ahead and make yourself
17 known to -- yes -- make yourself known to our registration
18 desk and that still will be allowed.

19 If you would, keep the comments, you know, three
20 or four minutes so that we can stay on schedule we would
21 appreciate it, and we'd ask you please to step to the
22 podium. I know that makes everybody nervous, but it does
23 help everybody in our Webcasting to be able to hear you.

24 And also, if you would clearly pronounce your

1 name, because when I introduce you I may butcher it. I
2 don't know -- I hope not.

3 The first person is Mr. Everett Lislle. If you
4 are present, if you would please come to the podium.

5 Mr. Lislle here? He is not?

6 Mary Jo Castillo -- is she here?

7 Brian Mansfield?

8 MR. MANSFIELD: I just have one quick comment.
9 Brian Mansfield with the Friendswood Fire Marshall's office.

10 MS. MERRITT: Would you please say your name
11 clearly so we can make sure I get that?

12 MR. MANSFIELD: Brian Mansfield. I'm with the
13 Friendswood Fire Marshall's office.

14 MS. MERRITT: Oh, good. Thank you.

15 MR. MANSFIELD: I just want to express a concern
16 that our office there at Friendswood, we were not notified
17 of this meeting and that we were notified last night by a
18 concerned citizen, and that's the only notification we had.

19 I just wanted to express that concern that maybe
20 in the future that we get notified of any meetings in
21 Friendswood or in the area there concerning this incident or
22 anything in the surrounding area.

23 MS. MERRITT: Okay. Thank you very much. I
24 appreciate that, and we'll try to broadcast this a little

1 broader. I think we did send out some 500 notices, and
2 we're sorry that you were missed.

3 Mr. Frank Elam? Yes.

4 MR. ELAM: Good morning. Can you hear this?

5 MS. MERRITT: Yes. Please state your name.

6 MR. ELAM: Yes. My name is Frank Elam, like elm
7 tree with an A in it -- Elam. I'm representing the Dace
8 Manufacturing Company, which is directly across the street
9 from Third Coast.

10 I have two questions. The second question is
11 recommendations to prevent fire, most of which you've
12 already covered so I'll edit them before I tell you and put
13 in only the ones that you have omitted.

14 The first question is this. Is there any
15 residual chemical hazard to the neighbors of Third Coastal
16 and if so, what is it? Is there a hazard to people, a
17 chemical hazard to paint and metal? Must chemical samples
18 be taken and tested, and what treatment is required, and who
19 in your organization do we contact for these answers?

20 MS. MERRITT: Thank you. Generally, we ask you
21 to provide comments and not questions. I think I can
22 properly direct you, however, to the -- I'm sorry; they've
23 changed their name -- what is the environmental agency now
24 that --

1 MR. ELAM: Something like EPA. I'm not quite
2 sure.

3 MR. HELLER: TCEQ.

4 MS. MERRITT: Texas Environmental Quality would
5 be the people that would be able to answer your questions
6 and did do sampling and would be able, I think, to give you
7 the answers to the questions that you've just asked.

8 MR. HELLER: Between TCEQ and U.S. EPA, there
9 were questions.

10 MR. ELAM: Fine. I will locate them.

11 MS. MERRITT: Yes. Thank you. If you'd like to
12 contact our offices, we'd be glad to give you that address
13 and phone number if you need it.

14 MR. ELAM: I have your Washington addresses.
15 Thank you.

16 MS. MERRITT: Thank you.

17 MR. ELAM: Okay. My comments on how to prevent
18 fires. I made a list, most of which you covered, but here's
19 one you didn't. All electric wiring should be inside metal
20 conducts. All electric wiring should be copper and not
21 aluminum. All switches and wire connectors should be
22 inspected, cleaned and tightened for residences once every
23 three years and for manufacturing plants once every 12
24 months.

1 Would you like to comment on that?

2 MS. MERRITT: No.

3 MR. ELAM: No? Fine. Okay.

4 MS. MERRITT: But we thank you for your comment.

5 That will be in our record, and so as it's distributed, and
6 to those who are listening on Webcast, they have heard your
7 comments and recommendation.

8 MR. ELAM: Another comment I have which was not
9 covered is that rats and other rodents can chew wire
10 insulation and cause fires. I recommend the use of pest
11 poison to control these.

12 Another comment which you did cover but maybe not
13 explicitly. Fire extinguishers which will put out oil fires
14 and electric fires other than water should be prevalent,
15 because the water will float the oil up and carry the fire
16 somewhere else. So I believe a big emphasis should be put
17 on the so-called chemical fire extinguishers.

18 I would also suggest that the firewalls be made
19 to be double walls and just fill them with water inside.

20 Another comment is this. We all face a threat of
21 terrorism. I believe that we should block the roads that
22 pass directly near a plant and should provide at least 1,000
23 feet from an accessible road to a plant because of the
24 threat of terrorism.

1 And the last -- I don't mean to be facetious,
2 although you'll all laugh -- we might contact the famous
3 firefighter organization headed by Fred Adair to see if he
4 has any suggestions as to fire prevention.

5 And that's all I have. Thank you.

6 MS. MERRITT: Thank you.

7 Are there any other comments? Are you -- yes,
8 sir. Are you registered? Thank you. Please take the
9 microphone so we can hear you. Thank you.

10 Speak your name and --

11 MR. LISLIE: My name's Ernest Lislle. I'm a
12 neighbor next to Third Coast, and I guess my biggest concern
13 is -- and I've got here a couple of questions of health
14 problems that has occurred from this fire. And some of the
15 long-term effects of the explosions, especially concerning
16 kids and older people, the water and contamination of some
17 of the soil -- we've never got any kind of results back on
18 if the land which, you know, is our investment has been
19 contaminated.

20 We've called the insurance company and Third
21 Coast. Their response is it's not their concern. I'd like
22 some kind of response from that.

23 MS. MERRITT: Our investigation is to the root
24 cause of the incident and contributing causes and then to

1 prevention of this happening again. I do believe, however,
2 that reports from the Texas Natural Resources people who
3 were overseeing --

4 I believe, Dave, if you can help me with this,
5 but I believe they oversaw the cleanup, and they should be
6 able to give you an answer or a report involving the effects
7 or residual effects concerning the fire and cleanup at this
8 site.

9 And as I did the other gentleman, would strongly
10 recommend that you contact that agency and ask for the
11 report or meet with them to talk about the residual effects
12 of that incident on the community.

13 MR. LISLIE: I appreciate that answer. I have
14 done this. I've already gone through all these motions.
15 What they're saying is they don't have the money advocated
16 to do any type of soil testing.

17 The TNRCC has done some water testing on the
18 deeper wells that everybody out there are on well water, and
19 the results is -- was clean, but the long-term effects of
20 the chemicals soaking down through the different water
21 tables and to a particular deeper water source for water
22 wells -- they have no results or any kind of recommendations
23 for.

24 So we're just kind of guessing, and we can't get

1 any real answers. That's why I brought it up. We
2 appreciate you being here. I was kind of shocked that, you
3 know, the United States Government was concerned about this
4 Third Coast, but we're having a hard time getting answers.
5 I don't know if y'all can intervene or if there's any other
6 help or --

7 MS. MERRITT: John, do you have a suggestion?

8 MR. LISLIE: -- what I need to do.

9 MR. BRESLAND: I certainly appreciate your
10 concern.

11 MS. MERRITT: I'm not sure we can hear you. Turn
12 your microphone up.

13 MR. BRESLAND: I certainly appreciate your
14 concern and I understand that you're having problems getting
15 results from the appropriate agencies. One suggestion I
16 would have, and this is speaking as someone who used to work
17 in one -- a chemical plant, and understanding the powers of
18 communities in getting things done, would be to get together
19 with your neighbors.

20 Talk to your neighbors, and then as a group go
21 and talk to your local elected officials and ask them to
22 help you. I think you may have some more success if you do
23 that.

24 MR. LISLIE: We are currently doing that.

1 MR. BRESLAND: I think the power of a group of
2 people is much greater than the power of a single individual
3 going and talking to the agencies.

4 MR. LISLIE: I understand. We are in the process
5 of doing that. I was hoping maybe that, you know, the U.S.
6 Chemical Safety and hazard investigation could maybe help in
7 some kind of way or not. I feel that it's not y'all's
8 expertise, and I wasn't aware of that.

9 MS. MERRITT: One of the things that -- I believe
10 this is Region 6 of EPA, and one of the things that we would
11 be happy to do is to pass your concern along to Region 6 and
12 to the administrator to see if we can't get some answers
13 also from Region 6 EPA.

14 So, I mean, we can use our bully pulpit to do
15 that for you as residents. So I'm sorry I don't have better
16 answers for you, but I think John's recommendation is -- or
17 the other one I was thinking of -- you do have the authority
18 of the vote, and I would certainly contact your county
19 elected officials to ask for answers.

20 And also, then I would be glad to make a contact
21 with Region 6 and see if we can't get some assistance also
22 in providing some answers.

23 MR. LISLIE: Well, we do appreciate that.

24 MS. MERRITT: You're very welcome. We'll try to

1 do what we can.

2 MR. LISLIE: I do have one other question. Y'all
3 are here to make a vote? What is this vote concerning?

4 MS. MERRITT: Well, what we will do is it is
5 accepting on behalf of the board the report from the staff
6 and their recommendations. Those need to be voted on and
7 accepted in public at a public meeting, as we're doing
8 today, and then once that is completed, the report then will
9 be issued, and also the recommendations then would be sent
10 out to all of those people that recommendations have been
11 made to.

12 So this is the formal process of accepting that
13 report and accepting the recommendations that would allow us
14 to go out, as a board, to begin to ask for the
15 implementations of those recommendations.

16 MR. LISLIE: All right. I appreciate your time.

17 MS. MERRITT: You're very welcome. Thank you.

18 Now, if there are no other questions or no other
19 comments from the floor, I guess I would like to open the
20 floor then to the board as to whether or not there's any
21 discussion on the report.

22 DR. TAYLOR: Madame Chair, I wanted to go back to
23 the gentleman that last spoke. I think one of our concerns
24 -- we talked about this before -- is to help this to the

1 community, and that's a big issue for many of our
2 investigations.

3 Although we're looking for root cause at the
4 facility, but I think the surrounding neighborhood is also
5 impacted and they need more answers in many cases. And
6 hopefully, whatever the board can do in facilitating that,
7 we should consider that -- for instance, in this case,
8 contacting EPA which you suggested is a very good idea.

9 But in our future investigations, we also need to
10 take consideration of what happens to the communities
11 surrounding these facilities and how they're impacted very
12 strongly by our investigations.

13 MS. MERRITT: Thank you.

14 DR. ROSENTHAL: I think that for clarification,
15 and I agree with what you've said, Madame Chairman, and what
16 Dr. Taylor has said, but perhaps the -- some of our guests
17 may not appreciate that the law tends to limit the board's
18 study of chronic effects and talks about the board's
19 focusing on acute effects.

20 However, I think that one of the acute effects is
21 anxiety in the community about long-term health effects. So
22 in that regard, I think we ought to take into account that
23 these incidents may generate these concerns, and make
24 recommendations that the appropriate agencies address them.

1 So that I'm saying that this -- the existence of
2 this anxiety is an acute result of the accident and may give
3 us a standing for then making the recommendation to an
4 agency that they address this anxiety.

5 MS. MERRITT: And I think the maturity of the
6 board is one of the processes that we are experiencing right
7 now. For those of you in the audience may or not realize,
8 we have begun to look at the other facets of our legislative
9 authority and our responsibility as an agency.

10 And so I think we have discussed this among
11 ourselves, and as an agency feel that public impact, within
12 the boundaries of our legislative authority, certainly is
13 one of the things that we will consider.

14 Dr. Poje, did you have something?

15 DR. POJE: Yes. No, I just wanted to echo the
16 remarks of you and others on this very matter. I've come to
17 Houston by way of Atlanta, Georgia, and was at a meeting of
18 the Agency for Toxic Substances and Disease Registry and had
19 the opportunity to meet and greet a number of individuals
20 who are involved in a more formal advisory position on
21 community and tribal aspects of toxic substance exposures
22 and the health effects to their communities.

23 So this is a -- while it's no immediate comfort
24 to the gentleman who raised these comments, this is not a

1 unique problem to the situation in Friendswood, nor is it a
2 unique problem in the State of Texas nor in other states
3 around this nation.

4 And I would also offer that we are trying to work
5 with the Agency for Toxic Substances and Disease Registry
6 and do have other partners for whom we are still trying to
7 evolve a more effective partnership to address matters such
8 as this.

9 And I will be happy to be an agent of
10 communication to them about this issue as well.

11 MS. MERRITT: And I would encourage you to pull
12 up our Website on occasion. Many of these memorandums of
13 understanding or agreements or things that we communicate
14 with other agencies are posted on there, and it's -- be
15 interesting, I think, for the general public to be able to
16 follow our progress with regard to some of these
17 requirements and needs of the community. So we invite you
18 to visit that web page and stay posted.

19 Are there any other comments or questions?

20 Yes, ma'am.

21 DR. TAYLOR: I just wanted to go back to our
22 report itself. I do believe, and wanted to thank the
23 investigators as well as our consultant, regarding this
24 investigation. It's very thorough and very well done, and I

1 do believe we have all the facts there surrounding what we
2 know about this event and have made adequate
3 recommendations.

4 MS. MERRITT: So are you saying that you believe
5 there have been no other new questions raised that should
6 delay a call for the vote?

7 DR. TAYLOR: Yes. Yes.

8 MS. MERRITT: Then I will do that, and is
9 somebody ready to make that motion for the acceptance of the
10 report?

11 DR. TAYLOR: I am.

12 DR. ROSENTHAL: I have some discussion on it
13 since you've made the --

14 MS. MERRITT: All right.

15 DR. ROSENTHAL: I think there have been two
16 issues raised here that we might want to consider in terms
17 of the -- one is the suggestion that we modify the
18 recommendation to the other parties other than the county
19 and Third Coast and the code associations that they suggest
20 that there be -- aside from disseminating the contents of
21 the report that the members of the associations reexamine
22 their own facilities that are not covered by the codes in
23 the light of the findings of this report.

24 MS. MERRITT: In other words, add that portion?

1 DR. ROSENTHAL: Yes. So I raise that as an issue
2 that we might want to consider.

3 MS. MERRITT: Include in the --

4 DR. ROSENTHAL: In the final report.

5 MS. MERRITT: -- in the final report. Okay.

6 DR. ROSENTHAL: Other than that issue, I am
7 prepared to move ahead and approve the report, and pending
8 discussion of the other board members, you may talk me out
9 of the desire to hold the part up until the other is done.

10 DR. POJE: Madame Chairman, I guess on that very
11 matter, though, I would appreciate input from our staff,
12 because I do see merits of it but I also have some concerns
13 about the practicality of measuring the outcome. In other
14 words, I think we have a number of past experience which
15 allows us to understand that such was communicated.

16 I think we've had lesser experience for
17 understanding how you would take it one step further and
18 assure the reexamination process had occurred at those
19 facilities. So maybe I'm missing your point.

20 DR. ROSENTHAL: You're missing my point. I
21 haven't been clear. It is not that we ask the associations
22 or the members to do it. We just ask the association to
23 communicate the thought that their members might wish to
24 reexamine their own facilities, so that would just be

1 covered by a broadening the notice to some that I've seen,
2 which is, Here is the report, read it; to say something
3 like, Here is the report, read it and you might consider if
4 you are not covered by current up-to-date fire protection
5 practices that you wish to reexamine your own facilities in
6 the light of this report.

7 DR. TAYLOR: See, can I make a comment about
8 that? I don't think there would be any problem in the
9 recommendation as it currently exists, but in the letter
10 that's sent to the associations perhaps add that language.
11 Would that be --

12 DR. ROSENTHAL: If that's -- if Counsel assures
13 me that this is correct, I'll drop the issue.

14 MS. MERRITT: We were just caucusing here on
15 exactly how we do what you just asked to do, and I think, if
16 that would be agreeable, I think including that suggestion,
17 because it would be very difficult for staff to track that.

18 And I think making -- I think it's a very good
19 and worthy recommendation, and we can do it in the cover
20 letter to ask them to communicate not only the findings of
21 this report but to take this as a warning and have them, you
22 know, encourage their members to review their own practices.

23 Would that be acceptable, do you think?

24 DR. ROSENTHAL: Absolutely.

1 MS. MERRITT: Okay. Then if there are no other
2 comments, then I would call for someone to make a motion
3 concerning the vote.

4 DR. TAYLOR: Madame Chair, I move to approve the
5 investigation report. It's Report Number 2002-303-1, and
6 recommendations regarding incident that occurred at the
7 Third Coast Industries' Friendswood facility on May 1, 2002.

8 MS. MERRITT: I think our Counsel is suggesting
9 that we add to that the words "as amended by the record of
10 this meeting."

11 DR. TAYLOR: As amended by the record of this
12 meeting.

13 MS. MERRITT: Okay. So then how it would read is
14 -- the motion is to approve the CSB Investigation Report
15 Number 2002-03-1 TX and recommendations as amended by the
16 record of this meeting regarding the incident that occurred
17 at Third Coast Industries' Friendswood, Texas, facility on
18 May 1, 2002.

19 Is there a second?

20 MR. BRESLAND: I second.

21 MS. MERRITT: Thank you. John Bresland seconds
22 that motion. Then by a roll call I would ask for your vote.

23 Dr. Taylor.

24 DR. TAYLOR: Approve.

1 MS. MERRITT: Dr. Rosenthal.

2 DR. ROSENTHAL: Approve.

3 MS. MERRITT: Dr. Poje.

4 DR. POJE: Approve.

5 MS. MERRITT: Mr. Bresland.

6 MR. BRESLAND: Approve.

7 MS. MERRITT: And I approve. So by unanimous
8 vote, then this report and recommendations has been accepted
9 by the board.

10 Thank you all very much.

11 Now what we would like to do -- we're really
12 right on time, which is really nice and amazing and
13 wonderful -- I would like to ask if Jordan Barab would do an
14 update on the recommendations that are currently open and
15 what the status of those recommendations are in about 15
16 minutes.

17 MR. BARAB: Okay. Thank you, Madame Chairman.

18 As I related in my previous statement, the job of
19 the recommendations program is not just to work on
20 developing new recommendations. The most important job we
21 have is to follow up on the recommendations that we have
22 already made, which means tracking those recommendations as
23 well as working with the recipients of those
24 recommendations.

1 With today's recommendations, we now have, in the
2 history of the Chemical Safety Board, made 150
3 recommendations to recipients. And again, we are actively
4 trying to follow those up. There are a number of
5 recommendations that we've made in the past that we've
6 received some kind of response from the recipients, which we
7 would like to report to the board and for eventual action by
8 the board on those, on our recommendations on action on
9 these responses.

10 Let me just review that all of the responses that
11 I'll be reporting to you today are either -- will either be
12 classified -- are either classified by the staff,
13 recommended by the staff to be classified as open,
14 acceptable response or open, awaiting response, with the
15 exception of one.

16 Now, open, acceptable response or open, awaiting
17 response basically assumes that the recipients are working
18 in good faith. Either that they have not yet fully complied
19 with our recommendation or we have not yet received enough
20 information from them to really indicate whether they are
21 working toward that end or not.

22 There is only one recommendation which we're
23 going to report to you today which we have recommended by
24 classified as open, unacceptable response.

1 Now, what I will do is I will rather quickly go
2 through these and just basically summarize the
3 recommendation and what our -- what the staff's
4 recommendation is as to the disposition of those responses.

5 You have in your notebooks under the
6 recommendations section a copy of all the evaluations that
7 the staff has done on these responses. Those pages are
8 numbered R-1 through R-24, and we will have -- well, you'll
9 see when we get up to the recommendations themselves in the
10 color orange is the actual page number that the evaluation
11 appears, in case you want to refer to that in your
12 questioning.

13 There are, I think, four different reports that
14 we'll be covering today in these recommendations. I'll
15 refer to those four reports. The first one, which have a
16 number of responses, deal with the report that we conducted
17 in Motiva Enterprises.

18 This was a July 2001 incident where there was an
19 explosion at Motiva Enterprises which killed one worker,
20 Jeffrey Davis, who was a boilermaker, and seriously injured
21 eight others. This resulted from a welding spark that
22 ignited flammable vapors in one of the storage tanks which
23 contained sulfuric acid.

24 As you can see in the picture, the tank totally

1 left its foundation, which is to the right of the tank
2 itself, emptying its contents not only into the site but
3 also into the Delaware River which resulted in significant
4 damage to aquatic life.

5 We have a number of recommendations -- number of
6 responses, I'm sorry, to the recommendations. And again,
7 you can see here we have summarized basically the essential
8 elements of the recommendation and in orange are the page
9 numbers where the evaluations occur.

10 Let me just read through these. The first group
11 I'm reading through we have classified as open, acceptable
12 response, which means they're in the process of responding,
13 again, in good faith.

14 Let me just run through these. Ensure
15 accountability for mechanical integrity decisionmaking.
16 Conduct management of change reviews for changes to tank
17 equipment and operating conditions. Revise the hot work
18 program at the plant.

19 These, by the way, are to the specific refinery
20 in Delaware City. Upgrade unsafe condition report systems
21 in regard to decisionmaking authority. Elevation of
22 unresolved issues and means of hazard communication. And
23 again, all of those we have recommended be classified as
24 open, acceptable response.

1 There's one further that we are recommending be
2 classified as open and awaiting response, because are still
3 awaiting enough information to see how they are responding.

4 This is Number 4 there, Review of the design of the
5 existing tankage that contains or has the potential to
6 contain flammables regarding installation of inerting
7 systems and emergency venting. And again, we're
8 recommending that this be classified as open, awaiting
9 response.

10 Are there any questions about these
11 recommendations, or do you want me to move on to the next?

12 MS. MERRITT: Yes, Mr. Jeffress?

13 MR. JEFFRESS: I'd just like to remind the board
14 that this is a presentation to you of where the staff is on
15 evaluating the implementation of these. You will have
16 documentation that includes the materials sent to us from
17 this company, and you will receive a ballot for notation
18 voting next week on these items.

19 So we're not looking to vote today. This is
20 simply a presentation of where we are and the backup
21 documentation, some of which is in your book. Others will
22 be forwarded to you next week.

23 MR. BRESLAND: I have just one question about the
24 wording here. If the staff recommendation is open,

1 acceptable response, does that not mean that it's closed?

2 MR. BARAB: No, it doesn't. Open, acceptable --
3 in some of the cases -- let me just give you some examples.

4 In some of the cases open, acceptable response, we will
5 have received a response, a letter from them, for example,
6 saying that they have complied in fact fully with all of our
7 recommendations but they will have sent no proof of that.

8 Generally, what we'd like to ask if they say
9 they've upgraded, for example, their guidelines or they say
10 they've communicated the information to their membership, we
11 ask to see some proof. In other words, a copy of the
12 guidelines, a copy perhaps of any audit reports, and copy of
13 the e-mails or the Web page that they used to communicate
14 their report.

15 So that, and occasionally some other exceptions,
16 some other details that they may have left out, earn the
17 open, acceptable response category.

18 MS. MERRITT: So it's almost open, acceptable
19 incomplete response?

20 MR. BARAB: Right.

21 MR. BRESLAND: Or so far, so good.

22 MR. BARAB: Well, allow me to move on in that
23 case. All right. Now we get to the exciting part. This is
24 to Motive Enterprises. This is to the parent company. Now,

1 the first one I'm going to be talking about is actually
2 again the only response that we've received that we have
3 recommended be classified as open, unacceptable response.

4 This is on page, again, our 7 of your -- in your
5 notebook. I'm going to go through this in a little bit more
6 detail because I think this is -- requires a little bit more
7 detail.

8 CSB asked Motiva to work with -- I'm sorry;
9 that's the wrong one -- CSB recommended that Motiva conduct
10 periodic audits at their refineries and safety systems
11 involved in this incident, such as mechanical integrity,
12 management of change, hot work, et cetera.

13 CSB asked Motiva to track and implement the audit
14 recommendations and share the findings with the workforce.
15 CSB report found that Motiva corporate entity failed to
16 detect and hold the refinery management accountable for
17 deficiencies in their safety systems that led to the
18 incident.

19 Now, we received a response from Motiva
20 Enterprises. Again, it was a letter reviewing their
21 response to our recommendation. Basically, to summarize,
22 the letter cited a number of existing management practice,
23 processes and standards.

24 However, most of these again were existing before

1 the incident occurred. The only audit they mentioned in
2 this letter of response for management of change or
3 mechanical integrity review were those already required by
4 the PSM regulations or the EPA's RMP regulation.

5 And as we noted in the report, the acid tank farm
6 where this incident occurred was not covered by PSM or RMP.

7 So again, the audit that they mentioned would not have
8 covered this area. The letter did not cite any audits that
9 had been conducted in these areas and the document did not
10 agree to perform any audits.

11 Again, all of these were in place before the
12 incident occurred and they failed to prevent the incident at
13 that time. The letter also does not indicate that Motiva
14 will track, implement or share the findings of these
15 recommendations. So again, we are recommending that that be
16 classified as open, unacceptable response.

17 Any questions on that specific recommendation?

18 DR. POJE: Just a comment that I want to review
19 the letter and the other materials and discuss that with
20 staff before the voting process is under way.

21 MR. BARAB: Yes. Yes. And again, as Charles
22 said, all of these will be reviewed in more detail. The
23 documentation for a number of these is fairly extensive and
24 it's all either in an electronic or a paper form and it will

1 be presented to you in those forms.

2 All right. Let me move on then. The second
3 recommendation on this page is communicate -- is to, again,
4 Motiva to communicate the findings and recommendations of
5 this report to the workforce and contractors at all Motiva
6 refineries.

7 And again, they've indicated that they have done
8 so but they have not sent us the evidence, and we will --
9 are suggesting that we communicate to them that we'd like to
10 see what they've done.

11 The next one -- again, this continues on the
12 Motiva report, the American Petroleum Institute, and this is
13 to work with the National Association of Corrosion Engineers
14 to develop guidelines, API guidelines, with respect to
15 storage tanks containing fresh or spent sulfuric acid in
16 tanks with wall or roof holds are thinning.

17 Ensure that API recommended practices address the
18 inerting of flammable storage tanks, and communicate these
19 findings and recommendations of this report to your
20 membership. Again, these deal with some of the essential
21 issues of the Motiva incident.

22 The holds, the thinning in the tank, the holds in
23 the tank, the failure of the inerting system, and our
24 conclusions that the API guidelines needed to be more

1 precise in those areas. And we're asking them, again, to
2 work with NACE, the National Association of Corrosion
3 Engineers, to develop these guidelines.

4 They responded to us that they have in fact met
5 with NACE, that they are in the process of developing a
6 process for moving forward on revising their guidelines.
7 And again, we are classifying that as open, acceptable
8 response because they again are in the process of moving
9 forward on our recommendation.

10 The mirror side of that is to the National
11 Association of Corrosion Engineers, to whom we recommended
12 that they work with the API, again to develop the API
13 guidelines that we just talked about and again, communicate
14 the findings and recommendations of this report to their
15 membership.

16 And they are in agreement with API that they have
17 in fact met and are in the process of discussing and putting
18 together a procedure for developing these guidelines. So
19 again, that was classified as open, acceptable response.

20 Any question on these past two?

21 All right. Finally, in terms of Motiva, we'll
22 move forward to the Building Construction Trades Department,
23 AFL/CIO, which were simply asked to communicate the findings
24 and recommendations of this report to their membership.

1 They indicated that they have done that. We
2 simply will -- they did not send us, again, the evidence and
3 we'll simply respond to them and ask them for the evidence
4 of that communication.

5 All right. Let me move forward to another
6 report. This is the Sonat Exploration Company. This is an
7 incident that occurred in 1998 where a gas well operated by
8 Sonat in Bienville Parish, Louisiana, exploded during
9 servicing.

10 Four workers were killed. The facility sustained
11 significant damage. In this case, the separation vessel
12 ruptured due to overpressurization, releasing flammable
13 material which then ignited.

14 We asked -- now, Sonat has since been bought out
15 by El Paso Production Company, so this recommendation,
16 although originally directed at Sonat, goes to El Paso
17 Production Company, and it's from El Paso that we received a
18 response.

19 We asked them to institute a formal engineering
20 design review process for all oil and gas production
21 facilities and develop written operating procedures for oil
22 and gas production facilities and implement programs to
23 ensure that all workers are trained.

24 We did receive a letter as well as some

1 documentation from them which is rather extensive. In a
2 nutshell, they are proceeding with some of these
3 recommendations. They indicated they're proceeding on all
4 of them.

5 The documentation they forwarded to us, however,
6 did not indicate some of the items that they had indicated
7 they were moving forward on. So again, we will communicate
8 with them that we would like to see some of the items that
9 they had indicated they were moving forward on.

10 The second recommendation there -- actually, the
11 third recommendation there -- is ensure that all oil and gas
12 production equipment subject to overpressurization is
13 equipped with adequate pressure relief systems and audit
14 compliance with the program.

15 Again, their response to us, while it mentioned -
16 - while it acknowledged our recommendation that they address
17 the overpressurization issue, none of the information they
18 sent to us actually mentioned anything about
19 overpressurization.

20 So again, this would be an open, awaiting
21 response because although they indicated that they want to
22 address this and we feel are operating in good faith, they
23 actually failed to send us any information indicating that
24 they were addressing this.

1 MS. MERRITT: Jordan, the question I have is, you
2 know, this is three years past the event or more. How -- I
3 mean, I think we as a board need to think about how long
4 we're going to continue to keep them open without, you know,
5 addressing them as unacceptable responses.

6 MR. BARAB: Right.

7 MS. MERRITT: And then do whatever reporting we
8 need to do to whatever organizations need to know that they
9 are not responding. And I would like also for the
10 recommendation staff to give us a tally of how old some of
11 these are.

12 I think we're going to need to take a look at
13 those, because this could go on forever.

14 MR. BARAB: Yes. And you know, you're absolutely
15 right, and this is approaching -- we try to get these things
16 closed out within about three years, and we are approaching
17 or may have exceeded that at this point, and we will, on
18 some of the older ones -- you're right -- we are in the
19 process of tallying up the older ones are and we will be
20 contacting them personally as well as assisting the
21 assistance of the board -- requesting the assistance of the
22 board in doing that.

23 As Mr. Jeffress indicated in his presentation, we
24 have substantially increased our recommendation staff

1 recently and that our primary mission is in fact to go back
2 to some of these older recommendations and --

3 MS. MERRITT: Thank you.

4 MR. BARAB: -- see if we can close them.

5 All right. Let me go on to our last report, and
6 this is one of our more recent reports, improving reactive
7 hazard management. This was a study that examined the
8 chemical process safety in the United States specifically
9 around hazardous chemical reactivity and concludes that
10 reactive incidents are a significant chemical safety
11 problem.

12 This response is from the Environmental
13 Protection Agency. We had recommended that they revise
14 their accident release prevention requirements to explicitly
15 cover catastrophic reactive hazards. And second, that they
16 modify the accident reporting requirements in the AMP
17 information to determine and record reactive incidents.

18 The response we got from them did not -- was
19 fairly equivocal. They did not indicate that they were in
20 fact going to move forward in revising these regulations.
21 They did not indicate that they weren't going to. They did
22 give us a list of a number of actions they've taken to
23 increase the awareness of reactive hazards.

24 But again, there was no conclusive response in

1 terms of their revising of the regulations. So again, we
2 classified this as open, awaiting response; again, because
3 we really haven't received a response yet.

4 That concludes the recommendations update.

5 MS. MERRITT: Okay. Well, we look forward to the
6 full report, and the board will certainly be reviewing those
7 soon. Appreciate that. Thank you.

8 Was there any other --

9 MR. JEFFRESS: That concludes the presentations.

10 MS. MERRITT: That concludes the presentations.

11 Well, that brings us to the end of this morning's
12 session, and this meeting of the Chemical Safety Board.

13 The next item would be -- of our business is the
14 press conference, and Dr. Rosenthal, who actually was the
15 board member that responded to this incident at Third Coast,
16 will be there, and the lead investigator, Dave Heller, will
17 be conducting that media briefing.

18 I'd like to thank the entire Third Coast team for
19 a thorough investigation and excellent report. In addition
20 to Dave Heller, also Jordan Barab and Dr. Zalosh -- thank
21 you for your presentations.

22 And also to Mike Morris, who is not with us
23 today, but who was also deployed at the scene and
24 participated in the investigation.

1 You have done a really very good job. We thank
2 you very much for this report.

3 Fortunately, the fire at Third Coast last May
4 didn't result in any deaths or injuries, but the impact was
5 significant, and the magnitude of the fire should be a wake-
6 up call to those who handle combustible materials or
7 regulate their hazards.

8 Under the right conditions, combustible liquids
9 like motor oil can burn rapidly and cause tremendous damage.

10 Proper safeguards are essential. As a federal agency, we
11 spend a lot of effort reviewing the various federal safety
12 regulations that help prevent chemical accidents.

13 The Third Coast investigation offers an important
14 reminder that often, solutions lie at least in part in the
15 hands of the local community. By adopting a comprehensive
16 fire code to cover unincorporated areas, Brazoria County can
17 take a strong lead in ensuring the safety of other
18 facilities.

19 As today's presentations showed, just because a
20 plant is not in the middle of the city doesn't mean that it
21 has -- it is a safe distance from homes, businesses,
22 schools, and in the event of a major fire, all of these
23 entities are impacted.

24 The protection afforded by a fire code are

1 therefore invaluable in urban as well as rural areas. I'm
2 pleased that our preliminary discussion on this subject was
3 with Brazoria County officials has been very positive and
4 productive, and I look forward to further progress.

5 I can say from my personal experience as a
6 corporate safety official that money spent on fire
7 protection systems is one of the best investments that a
8 company can make. Had better systems been in place at Third
9 Coast, this facility might well be standing today, producing
10 revenue and supplying jobs.

11 I look forward to working with Third Coast to
12 verify that appropriate measures are in place at the Third
13 Coast Terminal in Pearland. I anticipate that the full
14 Safety Board will be reconvening here in the Houston area
15 shortly to review the findings of our ongoing investigation
16 at BLSR.

17 To learn of these and other developments at the
18 CSB, please continue to visit our Website at www.csb.gov,
19 and consider signing up for our e-mail alert system.

20 With that, we now conclude our board meeting.
21 Pending the press conference, this meeting is now adjourned.

22 Thank you, everyone.

23 (Whereupon, at 11:55 a.m., the hearing was
24 concluded.)

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22