

U. S. CHEMICAL SAFETY AND  
HAZARD INVESTIGATION BOARD

+ + + + +

HOEGANAES PUBLIC MEETING  
Gallatin, Tennessee  
The Epic Event Center

+ + + + +

Wednesday  
November 16, 2011

+ + + + +

6:00 p.m.

BEFORE:

The Honorable Rafael Moure-Eraso  
Chairperson  
The Honorable John S. Bresland  
The Honorable Mark Griffon

INVESTIGATIVE TEAM:

Johnnie Banks, Lead  
David Chicca  
Maria Mazzocchi  
Marc Saenz

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

CONTENTS

Investigation Team Presentation ..... 10  
Board Questions ..... 30  
Panel Discussion ..... 73  
Question for Panelists ..... 95  
Public Comment ..... 150  
Other CSB Business ..... 161  
Closing ..... 176

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 P R O C E E D I N G S

2 (6:04 p.m.)

3 CHAIRPERSON MOURE-ERASO: Turn off  
4 your cell phones so that we don't get  
5 interrupted with musical interludes, please.

6 Good evening and welcome to the  
7 Public Meeting of the U.S. Chemical Safety  
8 Board, the CSB. I am Rafael Moure-Eraso,  
9 Chairperson of the Board. And we meet today,  
10 Board Members Mr. John Bresland to my left and  
11 Mr. Mark Griffon to my right.

12 Also joining us is our General  
13 Counsel, Chris Warner, and the CSB staff  
14 members whose efforts have facilitated this  
15 meeting. They will be introduced by name by  
16 the investigator in charge before their  
17 presentation.

18 The CSB is an independent, non-  
19 regulatory federal agency that investigates  
20 serious chemical accidents. The  
21 investigations examine all aspects of chemical  
22 actions, including physical causes related to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 equipment assigned as well as inadequacies in  
2 regulations, industry standards, and safety  
3 management systems.

4 Ultimately we issue safety  
5 recommendations, which are the science to  
6 prevent similar accidents in the future.

7 The purpose of today's meeting is  
8 to present the investigation team's finding  
9 and their draft safety recommendations into  
10 three combustible dust incidents that occurred  
11 in the Hoeganaes facility here in Gallatin,  
12 Tennessee.

13 We will also hear from a panel of  
14 experts in combustible dust. And I will  
15 introduce the members of the panel later on.

16 Before we begin, I'd like to point  
17 out some safety information. Please take a  
18 moment to note the locations of the exits from  
19 the meeting room, two in the back there and  
20 two to my left. The exits here and also that  
21 lead directly outside in case of an emergency.

22 I also ask that you please mute the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 cell phones, as I said before, so that  
2 proceedings cannot be disturbed. Thank you.

3           Everybody checked their phones?  
4 Good.

5           I would like to acknowledge the CSB  
6 Investigation Team, who will be presenting  
7 today the draft report for us today. They  
8 will describe their findings on the  
9 combustible dust fires and explosions that  
10 occurred in the Hoeganaes facility. And they  
11 will propose new measures for preventing  
12 future explosions.

13           Combustible dust fires and  
14 explosions are devastating, preventable, and  
15 often fatal. They are fatal tragedies.

16           At this time I would like to  
17 mention the name of the five workers from  
18 Hoeganaes that died on the three accidents.  
19 They were Mr. Rick Lester, John Eric Holsey,  
20 Wiley Sherburne, Vernon Corley, and Fred  
21 Tuttle. I would like to ask all of you to  
22 have a moment of silence to remember the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 workers that were killed as the result of  
2 these accidents.

3 (Pause) Thank you.

4 As we move forward with our  
5 investigation, our thoughts were never far  
6 from the families of those who were killed or  
7 were terribly injured. We were all too aware  
8 of the devastating impact that these accidents  
9 have had in their community. Those explosions  
10 often cause loss of life and terrible economic  
11 consequences.

12 In 2006, the CSB completed a study  
13 of combustible dust fires and explosions in  
14 the United States which identified 281  
15 incidents that occurred between 1980 and 2005.  
16 These incidents killed a total of 119 workers  
17 and injured more than 700. The study findings  
18 resulted in a recommendation to the U.S.  
19 Occupational Safety and Health Administration,  
20 OSHA, to develop a standard that  
21 comprehensively addresses combustible dust  
22 explosions.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           In 2008 a huge fire and explosion  
2           fatally injured 14 workers of the Imperial  
3           Sugar Refinery in Port Wentworth, Georgia. In  
4           2009 the CSB issued its final report into this  
5           devastating accident and once again called  
6           OSHA to move forward with the promulgation of  
7           a combustible dust standard. In 2009, OSHA  
8           responded to our recommendation and agreed to  
9           develop a combustible dust standard that is  
10          currently underway.

11           Following the team's presentation,  
12          the Board will hear from a panel of outside  
13          experts. After the presentation from each  
14          panelist, there will be an opportunity for  
15          myself and my fellow Board members as well as  
16          the panel to ask questions to the experts.

17           After the panel portion of this  
18          meeting, we'll be opening the floor for public  
19          comments. If anyone in the audience wishes to  
20          comment publicly, please sign up at the tables  
21          in the checking area to my left. And I will  
22          call your name at the appropriate time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Please notice that we will have to  
2           limit public comments to five minutes each.  
3           This is basically series of times. If you  
4           take more than five minutes, you are going to  
5           be taking time from the person after you.

6           I would like also thank the  
7           Hoeganaes Investigation Team from the CSB for  
8           their strong commitment and dedication to  
9           their work. And I will also thank you, the  
10          audience, for being proactively interested in  
11          a hazard that is often overlooked until it is  
12          too late.

13          I will now recognize my other Board  
14          members for any opening statements.

15          Mr. Bresland.

16          MR. BRESLAND: No, I don't have  
17          any.

18          CHAIRPERSON MOURE-ERASO: Mr.  
19          Griffon?

20          MR. GRIFFON: Hi, I have a very  
21          short statement. But I do want to offer my  
22          condolences to the family, friends, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 coworkers of the victims.

2 I also want to reinforce what  
3 Rafael mentioned that these tragic accidents  
4 all three were very preventable. And we're  
5 really hopeful that what we've done here  
6 reinforces and that lessons are learned both  
7 by Hoeganaes and also nationally.

8 We think it's far overdue for  
9 federal regulations of combustible dust. And  
10 we're hoping that our report supports that  
11 push for OSHA to promulgate regulations on  
12 combustible dust. So thank you for all  
13 attending.

14 CHAIRPERSON MOURE-ERASO: Thank  
15 you, Mark.

16 So our next item in the agenda is I  
17 would like to introduce Mr. Johnnie Banks,  
18 which is the Team Lead of the CSB  
19 investigation group for Hoeganaes that is  
20 going to introduce himself and the panel --  
21 the team, not the panel, I'm sorry, but the  
22 Investigative Team from CSB.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Mr. Banks.

2 MR. BANKS: Mr. Chairman, Board  
3 Member Bresland, Board Member Griffon, Mr.  
4 Warner, ladies and gentlemen, good evening.

5 The Hoeganaes Investigative Team is  
6 prepared to present our findings from our  
7 investigation of a series of incidents which  
8 occurred at the Hoeganaes facility in  
9 Gallatin, Tennessee. These incidents occurred  
10 on January 31st, 2011; March 29th, 2011; and  
11 May 27th, 2011. And led to a total of five  
12 fatalities and three injuries to Hoeganaes'  
13 employees.

14 Before I start, I'd like to  
15 introduce the Investigative Team which  
16 includes Mr. David Chicca, Ms. Maria  
17 Mazzocchi, and Mr. Marc Saenz. And Ms. Lucy  
18 Shell Tyler, who unfortunately will not be  
19 with -- joining us this evening for this  
20 presentation.

21 I'd like to take this opportunity  
22 to provide an overview of the agenda for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 tonight's proceedings. We'll begin with the  
2 team's presentation of investigation findings.  
3 The team will then entertain questions from  
4 the Board. Next there will be a panel  
5 discussion of relevant issues by our invited  
6 panelists. The public will then be invited to  
7 offer comments. And finally the Board members  
8 will then conduct other CSB related business  
9 prior to closing the session.

10 We're here this evening because of  
11 a long-standing CSB interest in combustible  
12 dust incidents and the fact that three such  
13 incidents occurred at the Hoeganaes facility  
14 over a very short period of time.

15 These incidents involve material  
16 very similar to that which I'm holding in this  
17 jar -- iron dust. This meeting was convened  
18 this evening to provide feedback and technical  
19 information to the community and our findings  
20 to the Board for their consideration.

21 The intent is also to provide  
22 technical information that explains the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 characteristics and the nature of the material  
2 found to be involved in each of the incidents  
3 in the investigations.

4 Our presence also allows an  
5 opportunity to hear any feedback or concerns  
6 expressed by the community or the workforce  
7 affected by these tragic incidents.

8 Finally this presentation allows  
9 for the introduction of recommendations aimed  
10 at preventing reoccurrence, not only at the  
11 Hoeganaes facility but throughout the iron and  
12 steel powder industry.

13 At this time I'd like to show a  
14 brief summary of some of the dust-related  
15 cases the CSB has investigated in its brief  
16 history.

17 [A video is played reporting on  
18 explosions of combustible dust in various  
19 locations.]

20 MR. BANKS: We'll begin to  
21 investigate the team's presentation. We'll  
22 present a company overview that discusses the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Hoeganaes Company and its corporate  
2 relationship, a facility and process overview  
3 that examines the process at the Hoeganaes  
4 facility in Gallatin, Tennessee. We'll also  
5 show a series of animation stills that will  
6 illustrate the approximate relationship  
7 between equipment and the workers at the time  
8 of each incident. And we'll then present our  
9 key findings and round out the presentation  
10 with introduction of proposed staff  
11 recommendations.

12 Hoeganaes is a world-wide producer  
13 of atomized steel and iron powders. It has  
14 facilities in the United States, Germany,  
15 China, and Romania. Corporate headquartered  
16 in Cinnaminson, New Jersey, the company is  
17 subsidiary of GKN, a multi-national  
18 engineering company based in the United  
19 Kingdom. GKN's primary businesses are a  
20 powdered metallurgy, aerospace and driveline  
21 industries. In 1999, GKN acquired Hoeganaes.

22 The Hoeganaes Gallatin facility is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 located about 30 miles northeast of Nashville  
2 and employed about 180 workers at the time of  
3 the incidents. Since becoming operational in  
4 the 1980s, the facility significantly  
5 increased its output by over 550 percent,  
6 totaling about 300 thousand tons of powdered  
7 metal.

8 In examining the powdered metal  
9 process, CSB investigators learned that  
10 Hoeganaes receives and melts scrap steel and  
11 processes it to meet predetermined customer  
12 specifications. The iron is sprayed and  
13 cooled into a coarse powder. The coarse  
14 powder is then processed in annealing furnaces  
15 with hydrogen. The material is then crushed  
16 and milled into fine powdered metal product.

17 The next portion of the  
18 presentation will discuss the incidents that  
19 occurred at the Hoeganaes facility. The first  
20 segment shows that will now show is a series  
21 of animation stills of the first three 2011  
22 incidents. This incident occurred on January

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 31st, 2011 and resulted in two worker  
2 fatalities.

3 [An audio/slide presentation is  
4 given.]

5 MR. BANKS: The CSB deployed a team  
6 to investigate the incident. And they arrived  
7 onsite shortly thereafter. In touring the  
8 facility and the site of the incident, the  
9 team observed significant quantities of iron  
10 dust on flat surfaces throughout the facility.

11 The team learned that the bucket  
12 elevator where maintenance work was being  
13 performed at the time of the incident was out  
14 of service. It was not cast in fine iron dust  
15 particles present inside the elevator. The  
16 elevator motor had exposed wiring. It was not  
17 properly grounded as required by the National  
18 Electric Code. When operators attempted to  
19 restart the motor, significant quantities of  
20 iron dust lofted into the air from several  
21 ignition sources.

22 The next series of slides will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 examine the second incident which occurred  
2 nearly two months later on March 29th, 2011,  
3 when another iron dust flash fire occurred.  
4 This incident resulted in an injury to one  
5 worker.

6 [An audio/slide presentation is  
7 given.]

8 MR. BANKS: Key points for the  
9 March 29th incident included observations of  
10 CBS investigators of even after the January  
11 incident investigators observed iron powder  
12 accumulations throughout the facility.  
13 Significant accumulations of iron powder were  
14 observed on above ground horizontal surfaces.  
15 Much of this fuel was observed on flat  
16 surfaces near multiple ignition sources  
17 following reports on hot surfaces near the  
18 furnace. It was noted that the iron dust  
19 cloud formed next to an open flame furnace.  
20 This event occurred even after the January  
21 fatal incident.

22 The third incident we'll discuss

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 tonight occurred two months after the second  
2 incident on May 27th, 2011. The CSB again  
3 deployed to a hydrogen explosion in iron dust  
4 flash fire that claimed the lives of three  
5 employees and injured two others.

6 [An audio/slide presentation is  
7 given.]

8 MR. BANKS: I might add that with  
9 the release of this report when the report  
10 proves that there will be animations that will  
11 accompany it and they'll be a bit more  
12 detailed than these that we've presented here  
13 tonight.

14 CSB investigators determined that  
15 the hydrogen fueled the initial explosion of  
16 May 27th. Hydrogen is used to remove oxides  
17 and to prevent oxidation from the iron powder  
18 in the furnaces. The hydrogen is routed to  
19 the furnaces via pipes in an underground  
20 trench. The source of the hydrogen is  
21 provided to Hoeganaes by an offsite provider.

22 The hydrogen leak that fueled the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 explosion was caused by a corroded hydrogen  
2 vent pipe located under the trenches. CSB  
3 investigators found that there was no system  
4 in place to ensure the pipe was inspected and  
5 maintained. Also there was no system to  
6 ensure flammable testing was performed prior  
7 to opening the trench to inspect a leak where  
8 flammable gases were being conveyed.

9 And looking at the hydrogen  
10 explosion and secondary dust flash fires, we  
11 found that no company procedures to respond to  
12 and mitigate suspected gas leaks were present  
13 and that the processes near band furnaces did  
14 not have appropriately rated electrical  
15 equipment for use near flammable gases.

16 We also discovered that hydrogen  
17 explosion overpressure lofted and ignited  
18 accumulations of iron powder.

19 Now Mr. Chicca will take over the  
20 proceedings from this point and will discuss  
21 the combustible dust testing that was  
22 conducted.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 MR. CHICCA: Thank you, Mr. Banks.

2

3 What I'd like to do first is show  
4 an excerpt from the CSB dust setting video.  
5 This is going to explain how dust explodes.

6 [An audio/video presentation is  
7 given.]

8 MR. CHICCA: CSB determined that  
9 iron powder was the fuel source in the January  
10 and the March 2011 flash fire incidents. And  
11 the third incident, the hydrogen explosion  
12 lofted and ignited iron powder that had  
13 accumulated on elevated surfaces. The CSB  
14 collected samples of this iron powder during  
15 our investigation of the facility and  
16 submitted it for testing.

17 In the next portion of this  
18 presentation, I'd like to show a video of a  
19 combustibility demonstration performed in a  
20 laboratory to show a progression of a flame  
21 through a cloud of a combustible dust sample  
22 that we collected at the Hoeganaes facility.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Before I start, tests like these  
2           are typically performed in closed vessels.  
3           But this test was modified to show how the  
4           dust would automatically ignite when dispersed  
5           over an ignition source. We'll see several  
6           videos in this demonstration at various  
7           speeds.

8                         [A visual presentation is given.]

9           MR. CHICCA:       Notice this next  
10          segment. The dust auto-ignites moments after  
11          being released.

12                        [A visual presentation is given.]

13          MR. CHICCA:       This was just one  
14          ounce of iron powder collected at the  
15          Hoeganaes facility. It was 17 inches above  
16          this flame source. And it produced this  
17          intense flame.

18                        Some of you may have noticed some  
19          flame-resistant clothing situated next to this  
20          fire in some of the tests. It was about nine  
21          inches away and it experienced some minor  
22          localized thermal damage.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1           In addition to this demonstration,  
2 CSB conducted additional dust testing to  
3 determine dust explosibility. One test known  
4 as the 20 Liter Test Method as specified by  
5 the National Fire Protection Association  
6 standard for combustible dust or NFPA 484.  
7 The facility is required to follow NFPA 484.  
8 The 20 Liter Test is required by the standard  
9 to characterize dust explosibility.

10           Another test known as the 1 meter  
11 cubed test is also used to determine dust  
12 explosibility. CSB commissioned both, the 20  
13 liter and the 1 meter cubed test. Additional  
14 information in NFPA 484 states that the  
15 operator of a facility may elect to perform  
16 the 1 meter cubed test. The 1 meter cubed  
17 test is known to produce results that are less  
18 conservative for certain types of dust.

19           These tests are intended to predict  
20 what would happen if the dust were to ignite  
21 at the facility. However each test has its  
22 limitations. At the end of this presentation,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the panel will discuss the differences between  
2 these two.

3           These values in the table are  
4 reported or calculated as a result of these  
5 tests. And they characterize the behavior of  
6 a dust sample. The Kst, or the dust  
7 deflagration index, is the estimate of an  
8 explosion severity. Therefore the higher the  
9 Kst, the more energetic an explosion. T-max  
10 or the maximum explosion over pressure is  
11 important for a design of safety features in  
12 combustible dust areas. The explosion  
13 severity is a calculated value that OSHA uses  
14 to determine whether or not a combustible dust  
15 can be considered a Class II electrical  
16 classification hazard.

17           The pressure ratio is another  
18 calculated value that determines whether or  
19 not a dust is explosible.

20           So the dust that we collected from  
21 the Gallatin facility displays these results  
22 in this table. And we found that this dust is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       explosible when tested in the 20 meter  
2       chamber. It is also ignitable.

3               CSB also commissioned a 1 meter  
4       cubed test with a sample obtained from the  
5       back house long after the plant had been shut  
6       down. But this sample did not ignite.

7               For references, the Kst value of 19  
8       is relatively low. But the panelists can  
9       discuss this later.

10              There was also the combustible dust  
11       testing concluded that iron powder at  
12       Hoeganaes is combustible and presented a  
13       serious flash fire hazard. Though the dust in  
14       the 1 meter cubed chamber did not ignite, the  
15       20 meter test results, in addition to the  
16       severity of the injuries from these incidents,  
17       proved the dust was the fuel source for the  
18       January and March incidents and a secondary  
19       fuel source during the May Hoeganaes  
20       explosion.

21              Prior to the 2011 incidents,  
22       Hoeganaes performed their own testing in 2009

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and in 2010 of iron powder in their facility.  
2 This was a result of an insurance audit  
3 recommendation. The testing results concluded  
4 that some of the samples taken were explosible  
5 and the values that Hoeganaes received were  
6 actually quite similar to what we received  
7 during our testing of the 20 liter chamber.

8 The phenomena of metal dust hazards  
9 is not new. And it has been addressed as  
10 early as the 1940s in National Fire and  
11 Protection Association publications. The CSB  
12 alone has investigated five combustible dusts  
13 incidents, two of which involved combustible  
14 metal dust.

15 Here is a list of current and  
16 completed investigations involving combustible  
17 dust in addition to Hoeganaes, two of which  
18 include metal dust. As you can see in 2003  
19 there were three incidents resulting in 14  
20 fatalities. And in 2008 an incident at a  
21 sugar refinery resulted in an additional 14  
22 fatalities.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1           The       agency       is       currently  
2       investigating the fifth incident listed at AL  
3       Solutions, where an explosion involving  
4       titanium powder claimed the lives of three.

5           In       response       to       three       fatal  
6       incidents from 2003, the CSB issued the  
7       Combustible Dust Study. And in addition to  
8       examining the causes of the three dust  
9       incidents, the report also identified 281 dust  
10      fires and explosions in the U.S. between 1980  
11      and 2005. These resulted in 119 fatalities,  
12      718 injuries. Twenty percent of these  
13      incidents were fueled by metal dust.

14           Within the Hoeganaes Corporation,  
15      there were previous incidents involving the  
16      same fuel source as the 2011 incidents. In  
17      1992 a hydrogen explosion and dust fire at a  
18      furnace in the Hoeganaes Riverton facility  
19      severely burned a worker who then died two  
20      years later. In 1996 at the Gallatin  
21      facility, an iron dust fire in a dust  
22      collection system injured a worker.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   During interviews, Hoeganaes  
2 representatives told the CSB investigators  
3 that there were multiple dust flash fires  
4 during their employment at the facility that  
5 did not result in injuries. Despite these  
6 incidences, Hoeganaes did not mitigate that  
7 hazard. Since Hoeganaes did not control the  
8 combustible dust hazard, operators were forced  
9 to tolerate the conditions at the facility.  
10 And over time these flash fires incidents  
11 became normalized since they did not result in  
12 any serious injuries until the January 2011  
13 incident.

14                   There was no training program in  
15 place to ensure all employees understood the  
16 severity of the hazard when iron dust powder  
17 was lofted near an ignition source.

18                   I'd now like to take some time to  
19 discuss the conflict of the hierarchy of  
20 controls. The hierarchy of controls is a  
21 concept widely recognized in industry by  
22 health and safety professionals to control

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 workplace hazards. It was developed by the  
2 National Safety Council in the 1940s and later  
3 adopted by the Occupational Safety and Health  
4 Act of 1970. Its principles are incorporated  
5 into the OSHA standards and programs.

6 This is a hierarchical order of  
7 control methods used in a plant or within a  
8 process to prevent or mitigate worker injury  
9 or exposure.

10 This upside down triangle visually  
11 depicts the hierarchy of controls. The  
12 effectiveness of the control methods is  
13 greatest at the top.

14 Inherently Safer Technologies, or  
15 IST, is a more recent concept added to the  
16 hierarchy. This is the preferred and most  
17 effective method that avoids the hazards  
18 rather than controlling them, such as  
19 eliminating the hazard during a design process  
20 or substituting a fuel source or toxic  
21 chemical for a less hazardous option.

22 An example of this would be if

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Hoeganaes were to eliminate or substitute  
2 their iron powder. Now because this facility  
3 intentionally makes iron powder, this IST may  
4 not be feasible and the hazard needs to be  
5 managed rather than eliminated.

6 The next level of the hierarchy is  
7 engineering controls. These are design  
8 options that automatically reduce risks.  
9 Examples would include well sealed powder  
10 conveyance systems, appropriately sized dust  
11 collection equipment, and the elimination of  
12 ignition sources.

13 Hoeganaes conveyance systems leaked  
14 dust. Dust collection equipment was under-  
15 maintained and not capable of collecting the  
16 large quantities of fugitive dust released  
17 into the facility. And several of these  
18 sources were present throughout the facility.

19 The middle level of this triangle  
20 is administrative controls. These include  
21 training or workplace practices that manage  
22 the hazard. Administrative controls are less

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 effective because they rely on worker or  
2 manager action and oversight to ensure the  
3 controls are effectively working to control  
4 the hazard.

5 Examples include housekeeping,  
6 flammable gas monitoring, and preventative  
7 maintenance. Hoeganaes lacked effective  
8 administrative controls to manage the hazard  
9 associated with dust and hydrogen.

10 There was no housekeeping program  
11 in place to handle the significant dust  
12 accumulations. And there was no policy of  
13 flammable gas monitoring or preventative  
14 maintenance to ensure flammable hydrogen gas  
15 did not enter the workplace in the presence of  
16 ignition sources.

17 The last and least effective  
18 measure to prevent worker injuries is the  
19 reliance on personal protective equipment, or  
20 PPE. PPE is needed when the higher control  
21 methods fail, but should be relied upon as the  
22 only level of protection between the worker

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and the hazard. PPE is equipment or clothing  
2 worn to shield the worker from exposure.  
3 Examples include flame resistant clothing, or  
4 FRC, a hard hat, and safety shoes.

5 The Hoeganaes employees were  
6 wearing flame resistant clothing, but it  
7 offered very little protection against the  
8 thermal heat produced by these incidents.

9 In summary, engineering controls  
10 are recognized throughout the industry as the  
11 preferred method of dust exposure and  
12 prevention above housekeeping and personal  
13 protective equipment. Hoeganzes lacked  
14 effective and appropriately maintained  
15 engineering controls to prevent iron dust  
16 accumulations.

17 Before we continue, the team would  
18 like to receive any questions the Board may  
19 have at this time.

20 CHAIRPERSON MOURE-ERASO: Mr.  
21 Chicca, I would like to start the question to  
22 you or to anyone in the panel. If you knew,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 describe engineering controls as design  
2 options that -- risk. I wonder if you could  
3 illustrate for us or describe for us three of  
4 those options that come to mind and that you  
5 saw in your investigation that will be  
6 applicable to the situation there.

7 MR. SAENZ: A couple of examples of  
8 engineering controls, the first rule is to  
9 keep the hazardous material inside the  
10 equipment. So one and the best option would  
11 have been to maintain the equipment to make  
12 sure that it is well sealed so that the dust  
13 does not come out of the equipment where the  
14 workers are in the workplace.

15 So over time the equipment starts  
16 out as new and over time the seams in the  
17 equipment start to leak. And there are  
18 typically gasket materials in there that will  
19 help maintain that seal. And the gaskets get  
20 old and worn. They need to be replaced. The  
21 bolts need to be tightened back up. And those  
22 kinds of maintenance measures the mechanical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 integrity program will keep the dust inside  
2 the equipment.

3 Another example is having a dust  
4 collection system. The dust collection system  
5 that they had was to remove the finest of  
6 particles from inside the equipment to pull it  
7 away. Sometimes this is done for quality  
8 control reasons rather than for hazard  
9 control.

10 Another way of dealing with the  
11 material that does leak out is to have a dust  
12 collection system that actually helps clean  
13 the air that's in the workplace so that the  
14 dust particles that are being released over  
15 time do not accumulate on surfaces. That  
16 falls in as an engineering control that  
17 addresses the issue of housekeeping.

18 Another issue that was present at  
19 Hoeganaes their dust control, dust handling,  
20 system was actually inside the building where  
21 the workers were. Because those systems  
22 collect the finest particles, those are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 most energetic, most likely to explode  
2 particles. And they actually had a past  
3 incident with this.

4 And so those dust collection  
5 systems are best sited outside of the area so  
6 that the workers are not going to be exposed  
7 to that if there is a fire or explosion inside  
8 the dust collection system itself.

9 CHAIRPERSON MOURE-ERASO: Thank you  
10 very much.

11 Any other questions of the Board  
12 Members?

13 MR. BRESLAND: In your presentation  
14 you mentioned an incident in the Hoeganes  
15 facility in Riverton, New Jersey in 1992,  
16 which is 19 years ago. Are you aware of any  
17 other incidents that have occurred since then?

18 And then a follow up to that would  
19 be when did Hoeganzes become aware of the  
20 hazards of combustible dust at a facility like  
21 this making powdered metal?

22 MR. CHICCA: As I mentioned, there

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 was another incident at the Gallatin facility  
2 where a dust collector caught on fire. That  
3 was in 1996. But it's safe to say that at  
4 least in the '92 incident -- and Mr. Cholin  
5 can speak to this -- I don't believe Hoeganaes  
6 suspected iron dust as the fuel source. Even  
7 though Mr. Cholin can explain later, it most  
8 likely was.

9           And this sort of denial is present  
10 throughout all of industry that iron dust  
11 isn't dangerous or certain metal dusts aren't  
12 dangerous. And I think that Hoeganzes also  
13 has this problem.

14           But as I mentioned there have been  
15 numerous incidents. They just haven't gone  
16 reported because there are no injuries. And  
17 so the employees of this facility and they  
18 really just begin to what we call is a  
19 normalization of deviants. So even though the  
20 happen, they don't recognize them as the  
21 hazard they could be. It was "I survived,"  
22 instead of, "I could have been killed." And

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 so Hoeganaes didn't respond because these  
2 weren't reported.

3 But I think it's safe to say that  
4 management understood this especially after  
5 their own dust testing which proved that it  
6 was explosible which they did in 2009 and  
7 2010.

8 MR. BRESLAND: You mentioned the  
9 incident involving hydrogen, the leak of  
10 hydrogen which resulted in an explosion. What  
11 sort of mechanical integrity program or what  
12 sort of program did they have to ensure that  
13 the hydrogen lines in the facility were  
14 appropriately tested and checked? And what  
15 size was the hole in the hydrogen line that  
16 you discovered?

17 MR. CHICCA: Well, to answer your  
18 first question, we didn't find any preventive  
19 maintenance program for the specific line in  
20 question. And the hole -- and we're not  
21 exactly sure how big it was at the time of the  
22 incident because it was considerably larger

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 obviously after the explosion.

2 MR. SAENZ: The hole when we  
3 examined the pipe was approximately seven  
4 inches by three inches, three and a half  
5 inches, something like that. It's a pretty  
6 good sized hole in a pipe. A mechanical  
7 integrity program is intended to test and  
8 inspect piping systems to maintain those  
9 piping systems in good operating condition so  
10 that particularly for flammable gases so that  
11 they don't have leaks such as the one that was  
12 the source of fuel for the third incident.

13 MR. BRESLAND: In the scheme  
14 things, how hazardous is hydrogen?

15 MR. SAENZ: Hydrogen is one of the  
16 two most hazardous of the flammable gases.  
17 Hydrogen and acetylene both burn at thousands  
18 of degrees temperature. Iron dust, I might  
19 add, also burns approximately that same  
20 temperature, couple thousand degrees. So  
21 hydrogen is actually listed in some standards  
22 as an extremely flammable gas. There aren't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 but a handful of gases that are listed as  
2 extremely flammable.

3 MR. BRESLAND: So based on that,  
4 what would your expectations be of a  
5 mechanical integrity program for hydrogen  
6 piping?

7 MR. SAENZ: It's extremely  
8 important to have a good mechanical integrity  
9 program to maintain the hydrogen piping  
10 because even a small leak of hydrogen can  
11 cause a severe fire. Part of the problem with  
12 hydrogen is that it does burn so hot that in  
13 normal daylight conditions, the flame can  
14 appear as a very pale blue and in many cases  
15 seem invisible. So if you have a hydrogen  
16 leak that's even just a small leak but the  
17 hydrogen is burning, someone could walk past  
18 that, never see the flame, and be severely  
19 burned by it. So it's extremely important to  
20 maintain that pipe.

21 MR. BRESLAND: And just to repeat  
22 again, what was the program of the Hoeganaes

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 facility for maintaining this line?

2 MR. SAENZ: They didn't have one.

3 CHAIRPERSON MOURE-ERASO: Thank  
4 you. Mr. Griffon?

5 MR. GRIFFON: I just want to follow  
6 up on Mr. Bresland's first question. I don't  
7 believe this was mentioned in the  
8 presentation. But in your report you talk  
9 about an audit that was done. I think it's  
10 noted as a routine audit in November of 2008.  
11 And I would just ask if someone could describe  
12 what was the purpose of that audit and what  
13 did they find?

14 I think I'm getting at this point  
15 of it seems like not only were there several  
16 near misses and flash fires prior to these  
17 incidents, but also there was other  
18 information that the company might have known  
19 that they should have addressed these hazards.  
20 So I just wish you would describe that survey  
21 and what they found in that survey?

22 MR. CHICCA: Sure. If I recall

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 correctly, it was just a basic insurance  
2 audit. They were just doing a risk  
3 assessment. And during their inspection of  
4 the facility, they made a note of the amount  
5 of dust that was in the facility. And they  
6 recommended that tests be done to determine  
7 whether or not it was ignitable or explosible.  
8 And that particular insurance auditor was told  
9 that testing was going to be done.

10 And the insurance audit further  
11 recommended that should the iron dust be found  
12 explosible, that someone should be contracted  
13 to eliminate that hazard. That of course  
14 didn't happen. But that was the nature of  
15 that audit.

16 MR. GRIFFON: And I guess I have  
17 the benefit of looking at the test. And it  
18 even says the potential for explosions should  
19 be analyzed. And that was sort of the follow-  
20 up. Did they follow up on this? Did they do  
21 testing as a result of these recommendations?

22 MR. CHICCA: The testing was done.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 That was the testing that was done in 2009 and  
2 subsequently another test was done in 2010.  
3 That was a result of that audit. But the  
4 subsequent recommendation to eliminate the  
5 hazard should it be found explosible, which  
6 their samples were found explosible, was not  
7 done by the time of the incidents.

8 MR. GRIFFON: And I guess that was  
9 my last follow-up was the findings of the  
10 tests were -- at least some of the materials  
11 they sampled were found to be explosible.  
12 Thank you.

13 CHAIRPERSON MOURE-ERASO: Okay,  
14 thank you very much. We'll continue with the  
15 presentation.

16 MR. SAENZ: At this time I will  
17 present an analysis of the applicable industry  
18 codes and standards. The Occupational Safety  
19 and Health Administration, or OSHA, issues and  
20 enforces standards and programs for workplace  
21 safety and health. OSHA issued a combustible  
22 grain dust standard in 1987. And since then

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 combustible grain dust incident fatalities  
2 have decreased by 60 percent. However, OSHA  
3 has not issued a combustible dust regulation  
4 for general industry.

5 As mentioned earlier in the  
6 presentation, in 2003, the CSB investigated  
7 three major combustible dust incidents. Based  
8 on these incidents, the Board launched a  
9 nationwide study of combustible dust hazards.  
10 And based on that study you've seen the video  
11 excerpts.

12 In 2006, based on the completed  
13 study, the CSB recommended that OSHA develop a  
14 new regulatory standard to prevent combustible  
15 dust fires and explosions. OSHA issued an  
16 advanced notice of proposed rulemaking in  
17 2009. That's the process that begins the  
18 making of the new regulation. They've held  
19 various stakeholder meetings. And their next  
20 meeting is scheduled for December of 2011.  
21 However, to date, no final rule has been  
22 published.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           As an interim measure to address  
2 combustible dust, the CSB also recommended  
3 that OSHA develop a national emphasis program  
4 to address dust while the regulation was being  
5 developed. OSHA issued a Combustible Dust NEP  
6 in October 2007. The NEP is not a regulation.  
7 It is an inspection tool like a series of  
8 questions that compliance officers in the  
9 field can use and apply to existing standards  
10 to apply existing standards to facilities that  
11 handle dust. It can be applied to all dust  
12 processing operations, but specifically  
13 targets certain industries by industrial  
14 classification codes or NAICS codes.

15           The NAICS code for Hoeganaes  
16 unfortunately was not listed in the NEP as a  
17 targeted industry with dust-producing  
18 operations.

19           The Tennessee Occupational Safety  
20 And Health Administration, or Tennessee OSHA.  
21 Tennessee operates under a State worker safety  
22 plan. States can develop individual worker

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and safety and health programs as long as they  
2 are at least as effective of the comparable  
3 OSHA standards. The plans are approved and  
4 monitored by federal OSHA. States can also  
5 adopt federal standards and programs directly  
6 rather than develop their own.

7 For example, Tennessee OSHA adopted  
8 the Combustible Dust NEP in 2008. State OSHA  
9 plans have the authority to add industry codes  
10 to the state adopted NEP. But Tennessee did  
11 not recognize that the NAICS code for  
12 Hoeganaes was missing. And therefore  
13 Hoeganaes wasn't targeted for inspection by  
14 Combustible Dust NEP because Tennessee OSHA  
15 did not add the industry code for Hoeganaes to  
16 the program.

17 The National Fire Protection  
18 Association is an industry consensus  
19 organization that develops and maintains  
20 standards and codes related to fire prevention  
21 and response. Various federal, state, and  
22 local authorities have adopted NFPA codes and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 standards.

2 As with any consensus standard,  
3 when a particular standard is not a regulatory  
4 requirement, individual companies can adopt  
5 the standard as part of their own policies and  
6 procedures.

7 NFPA 484 is a particular standard.  
8 It is a standard for combustible metals. It  
9 contains provisions for protecting people and  
10 facilities from metal fires and explosions.  
11 It specifically addresses metals. The  
12 standard addresses facilities that produce,  
13 handle, or store combustible metals and  
14 alloys.

15 The city of Gallatin had not  
16 adopted NFPA 484. And, therefore, they could  
17 not enforce it. Also Hoeganaes did not  
18 voluntarily adopt NFPA 484. Had Hoeganaes  
19 applied the provisions of NFPA 484, the  
20 conditions that led to these incidents could  
21 have been mitigated.

22 NFPA 484 specifies test methods for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 characterizing dust combustibility and  
2 explosibility. It addresses design and  
3 engineering controls to prevent dust  
4 accumulation and includes guidelines for  
5 housekeeping programs.

6 I'm now going to show you a video  
7 to give you an idea of the amount of dust  
8 accumulation in the Hoeganaes facility as well  
9 as an understanding of the normal operation of  
10 the bucket elevator and the behavior of the  
11 dust in the facility.

12 [A video presentation is given.]

13 MR. SAENZ: This is a light path  
14 from a flashlight. If you look up in this  
15 area at the top of the screen, you can see a  
16 dust cloud up there above the bucket elevator.  
17 It's a little hard to see from this angle.  
18 This is a view of the axle that turns the  
19 upper drum on the bucket elevator. This is  
20 just a horizontal scene from the bucket  
21 elevator and it shows how during normal  
22 operations, the dust falls down from there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 There's so much accumulated that with just a  
2 normal vibration, the dust falls down off of  
3 that horizontal surface.

4 There's a certain amount of dust  
5 that can accumulate on a particular surface.  
6 And beyond that, there's a certain angle that  
7 it won't achieve higher than that. So the  
8 fact that that dust is falling off of there  
9 indicates that it's reached its maximum  
10 accumulation there.

11 The International Code Council, or  
12 ICC, is a member-focused association that  
13 develops codes for public and industrial  
14 safety. They develop building safety and fire  
15 prevention codes. There are no particular  
16 regional limitations to them. They truly do  
17 operate internationally.

18 The ICC codes are adopted statewide  
19 or in local jurisdictions in all 50 of the  
20 United States. The ICC also offers code  
21 assistance, certification and training to  
22 council members.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           The ICC among various codes  
2 develops and maintains the International Fire  
3 Code, or IFC. The IFC establishes minimum  
4 requirements for residential and industrial  
5 fire protection -- for fire prevention. The  
6 IFC can be adopted and enforced by local and  
7 state jurisdictions. The IFC is adopted by  
8 the State of Tennessee and the City of  
9 Gallatin.

10           In terms of addressing combustible  
11 dust-producing operations, the IFC briefly  
12 lists general requirements for preventing dust  
13 explosions, such as housekeeping to clean up  
14 any dust that does accumulate and eliminating  
15 sources of ignition. In particular, Chapter  
16 22, Section 4.1 states that the fire code  
17 official is authorized to enforce applicable  
18 provisions of NFPA 484 and other NFPA dust  
19 codes and standards.

20           Note that the language "is  
21 authorized to enforce" is not a clear mandate  
22 that the wording such as "shall enforce" would

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 carry. The State of Tennessee specifically  
2 excludes optional or voluntary provisions of  
3 adopted fire codes.

4 So although the 2006 IFC is adopted  
5 by the State of Tennessee, the legislation  
6 states that, "It shall not be construed as  
7 adopting any provision of the cited  
8 publications which establishes an optional or  
9 recommended, rather than mandatory, standard  
10 or practice." Because the IFC language states  
11 "is authorized to enforce," it can be  
12 interpreted as a voluntary portion of the  
13 standard and, therefore, not enforceable in  
14 the State of Tennessee.

15 So although the IFC language was  
16 unclear about NFPA 484, the City of Gallatin  
17 could have enforced the housekeeping and  
18 removal of ignition sources of the IFC itself.  
19 So because NFPA 484 was cited in there and it  
20 sounded like that might be optional or  
21 voluntary, they weren't obligated to enforce  
22 that. However, they could have enforced the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 housekeeping and ignition source removal  
2 portions of the IFC itself.

3 In particular, the Gallatin Fire  
4 Department inspected the Hoeganaes facility  
5 two weeks prior to the third incident in May.  
6 They did not recognize iron dust accumulations  
7 as a fire hazard. And they did not inspect  
8 the facility against the general requirements  
9 of the IFC for combustible dust.

10 Now I will present the key findings  
11 from the investigation. First, significant  
12 accumulations of iron powder fueled flash fire  
13 incidents at the facility. Hoeganaes  
14 management personnel were aware of metal  
15 powder combustibility hazards but did not  
16 mitigate the hazard through engineering  
17 controls and housekeeping. Hoeganaes  
18 lacked employee training and procedures for  
19 flammable gas leaks.

20 OSHA did not include the Iron and  
21 Steel Mills Industry Classification Code for  
22 Hoeganaes as a targeted industry for the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Combustible Dust NEP.

2 The 2006 International Fire Code,  
3 which was adopted by the City of Gallatin,  
4 does not require jurisdictions to enforce NFPA  
5 standards for the prevention of dust fires and  
6 explosions.

7 The State of Tennessee and the City  
8 of Gallatin do not enforce optional or  
9 recommended standards or practices of the IFC.

10 The Gallatin Fire Department  
11 inspected the Hoeganaes facility after the  
12 first two iron powder flash fires and did not  
13 address combustible dust hazards present at  
14 the facility just weeks before the third fatal  
15 hydrogen explosion and dust flash fire.

16 Instead of utilizing engineering  
17 controls and administrative controls such as  
18 dust collection systems and housekeeping  
19 programs, Hoeganaes relied on flame resistant  
20 clothing to protect workers from iron dust  
21 flash fires.

22 And finally GKN and Hoeganaes did

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 not provide corporate oversight to ensure that  
2 the Gallatin facility was adequately managing  
3 combustible dust prior to and throughout the  
4 succession of serious incidents at the  
5 Gallatin facility.

6 Now Investigator Mazzocchi will  
7 discuss the proposed recommendations.

8 CHAIRPERSON MOURE-ERASO: Thank  
9 you. That was Mr. Marc Saenz, a part of the  
10 Investigation Team.

11 So the next presenter is going to  
12 be Ms. Maria Mazzocchi. So, Maria.

13 MS. MAZZOCCHI: Thank you. This  
14 evening I will present an overview of what CSB  
15 recommendations are and the staff proposed  
16 recommendations as a result of our  
17 investigation. The recommendations are  
18 subject to change after consideration by the  
19 Board.

20 As an overview, CSB recommendations  
21 are the primary tool to improve industrial  
22 safety programs and practices.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Recommendations are targeted towards federal  
2 and state regulatory improvements, industry  
3 and company practices, and trade association  
4 standards and outreach.

5 Recommendations are intended to  
6 directly address incident findings and causes  
7 and to focus on management system improvement  
8 to prevent recurrence. The CSB  
9 Recommendations Department monitors progress  
10 of recommendations and updates their status on  
11 our website.

12 Based on our key findings  
13 introduced earlier, I will now present the  
14 proposed recommendations.

15 Recommendations 1, 2, and 3 are  
16 addressed to federal OSHA. First, develop and  
17 publish a proposed rule for a Combustible Dust  
18 Standard within one year of the approval of  
19 this case study.

20 Second, we propose to ensure that  
21 the forthcoming OSHA Combustible Dust Standard  
22 includes coverage for combustible metal dust,

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 including iron and steel powders.

2 And, third, we propose to OSHA to  
3 revise the combustible dust emphasis program  
4 to include facilities that produce, handle,  
5 process, or generate iron and steel powders or  
6 dusts.

7 We propose to Tennessee OSHA to  
8 revise the combustible dust emphasis program  
9 to include facilities that produce, handle,  
10 process, or generate iron and steel powders  
11 and dust.

12 The following three recommendations  
13 to the Hoeganaes Corporation are opportunities  
14 to address implementation of the hierarchy of  
15 controls.

16 First, conduct periodic independent  
17 audits of the Hoeganaes Gallatin facility for  
18 compliance with the applicable National Fire  
19 Protection Association codes and standards for  
20 combustible dust, electrical classifications,  
21 hydrogen, and flame resistant clothing.

22 Our second recommendation to the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Hoeganaes Corporation is to develop training  
2 materials that address combustible dust and  
3 plant-specific metal dust hazards and to train  
4 all employees and contractors, and also to  
5 require periodic refresher training for all  
6 employees and contractors.

7 We also recommend that Hoeganaes  
8 implement a preventive maintenance program, as  
9 well as leak detection and mitigation  
10 procedures for all flammable gas piping and  
11 processing equipment.

12 We propose the following  
13 recommendation to the International Code  
14 Council. Revise international fire code  
15 Chapter 22, Combustible Dust Producing  
16 Operations, to require mandatory compliance  
17 and enforcement with the detailed requirements  
18 of the National Fire Protection Association  
19 standards cited in the chapter.

20 We propose the following to the  
21 Metal Powder Producers Association.  
22 Communicate the findings of this CSB case

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 study to all your members, such as through a  
2 safety article in an upcoming monthly  
3 newsletter.

4 We propose the City of Gallatin to  
5 require all facilities coverer by the  
6 International Fire Code Chapter 22 to conform  
7 to National Fire Protection Association  
8 standards for combustibile dust.

9 Finally, we propose two  
10 recommendations to the Gallatin Fire  
11 Department. First, ensure that all industrial  
12 facilities in the City of Gallatin are  
13 inspected at least annually for compliance  
14 with the International Fire Code. And, last,  
15 implement a program to ensure that fire  
16 inspectors and response personnel are trained  
17 to recognize and address combustibile dust  
18 hazards.

19 Members of the Board, these are our  
20 proposed recommendations. We believe that, if  
21 they are approved by the Board and adopted by  
22 the recipients, accidents will be prevented

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and lives will be saved.

2 This concludes the Team's  
3 presentation to the Board. At this time we'd  
4 like to answer any questions the Board may  
5 have. Thank you.

6 CHAIRPERSON MOURE-ERASO: Thank you  
7 very much, Ms. Mazzocchi.

8 I would like to ask any Board  
9 members if they have specific questions of  
10 this part of the presentation.

11 Mr. Griffon?

12 MR. GRIFFON: I have a question  
13 that probably came up during Marc's  
14 presentation. So he may be able to address  
15 this. It's basically under a slide that said  
16 that, had Hoeganaes applied the provisions of  
17 NFPA 484, the conditions that led to these  
18 incidents could have been mitigated. And I  
19 emphasize the last word, mitigated.

20 I guess I'm concerned, you know, we  
21 certainly push for prevention. And I'm  
22 wondering. There is an allowance under NFPA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 484 for what's termed retroactivity or some  
2 people refer to it as grandfathering, whereby  
3 existing facilities are only required to do  
4 certain parts of the standard.

5 And I guess my concern is if this  
6 NFPA 484 is enforceable by the City of  
7 Gallatin, does it go far enough? Are we --  
8 does it not allow for some of those  
9 engineering controls and some of that  
10 prevention that we'd like to see?

11 MR. SAENZ: In any case if a  
12 facility voluntarily adopts the NFPA 484 code  
13 into their own policies and procedures, then  
14 they can apply all the parts of the code and  
15 introduce all various types of controls into  
16 their system to prevent these incidents from  
17 happening.

18 However, if the code is adopted by  
19 a regulatory authority, the authority having  
20 jurisdiction, the code does have a statement  
21 about grandfathering. And so facilities that  
22 already existed would be exempted from making

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 changes in according to certain parts of the  
2 code. So you're correct that they wouldn't.

3 If the City of Gallatin now adopted  
4 NFPA 484, wouldn't necessarily have to provide  
5 all provisions of NFPA 484. They wouldn't  
6 have to follow all of them. It would still  
7 improve the facility, but if the facility were  
8 to voluntarily adopt a code, then they could  
9 follow all the provisions of 484 and do the  
10 best job at preventing these incidents.

11 And the word mitigate is in this  
12 sense used as a technical term. Mitigate  
13 means to lessen the consequences of the  
14 incident. But it's -- obviously if you can  
15 keep the material inside the equipment and not  
16 let it out in the first place, which a lot of  
17 the engineering controls are intended to do,  
18 then there won't be an incident outside the  
19 equipment and people won't be exposed to it.

20 Again we mentioned earlier the  
21 moving of the dust collector system outside,  
22 that's also another important piece there.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Because if there's an explosion inside the  
2 dust collector system, that could rupture it  
3 or vent into the work area and expose workers.  
4 So that is one of the engineering controls  
5 that would need to be followed as well.

6 MR. GRIFFON: Is that engineering  
7 control, moving the dust collector, would that  
8 be enforceable under the retroactivity  
9 provisions?

10 MR. SAENZ: I'd have to look at it  
11 to make sure.

12 MR. GRIFFON: We also have that on  
13 our panel. So maybe I follow up to that.

14 I raise this because I guess I'm  
15 concerned and I think many are concerned about  
16 the coverage of older facilities. And I think  
17 this points out I think this debate is also  
18 going on on the OSHA rulemaking process. If  
19 NFPA standards are adopted, it still doesn't  
20 answer some of these questions about the  
21 grandfathering issue. So that's the point --

22 MR. CHICCA: If I may, and correct

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 me if I'm wrong. But the authority having  
2 jurisdiction, in this case the Gallatin Fire  
3 Department, if they did have any authority to  
4 enforce NFPA 484, if during their inspection  
5 of the facility they felt there was an  
6 immediate danger from a hazard that they're  
7 exempted from by the grandfathering clause,  
8 they can still enforce that if they can prove  
9 it's an immediate danger.

10 In our case, we can prove that tons  
11 of iron dust lying around is an immediate  
12 danger. So there's perhaps the potential for  
13 the authority having jurisdiction to enforce  
14 even the grandfathering exempted clauses.

15 CHAIRPERSON MOURE-ERASO: Mr.  
16 Bresland?

17 MR. BRESLAND: On Slide 63, you say  
18 that Tennessee specifically included --  
19 excluded optional or voluntary sections of the  
20 code. Do we know any about the history of why  
21 they would do that in Tennessee?

22 MR. SAENZ: Unfortunately, we don't

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 have that detail. But it is this language  
2 right here that excludes that.

3 MR. BRESLAND: Okay. Question  
4 about the issue of the responsibility of  
5 management, meaning the management of the  
6 facility, the corporate management of  
7 Hoeganaes, or the corporate management of GKN  
8 in the United Kingdom?

9 I guess I'm particularly bothered  
10 by this series of incidents that have occurred  
11 at this facility. I'm just thinking about my  
12 history in the chemical industry where I  
13 worked for 35 years. During that 35 years, I  
14 never worked in a facility which had a  
15 fatality. I'm not taking my credit for it.  
16 But I'm just saying that the company had  
17 programs in place that prevented fatalities.

18 So now I see a facility where you  
19 have had five fatalities in one facility in  
20 five months. I just find that to be very,  
21 very disturbing. And I just -- it just makes  
22 me wonder about the corporate, the managerial

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 oversight of this facility. And do we have  
2 any information on that, either at the  
3 Hoeganaes corporate level of Jersey or the GKN  
4 corporate level in the United Kingdom? Cause  
5 I think something -- something serious is  
6 missing here.

7 MR. SAENZ: From our investigation  
8 we found very little interaction with GKN, the  
9 UK headquarter group with Hoeganaes, in terms  
10 of the corporate entity. We still didn't find  
11 very much interaction. I mean we find it just  
12 as surprising.

13 The Plant Manager of the facility  
14 here at Gallatin, the Plant Manager reported  
15 to a Vice President who was up in New Jersey.  
16 So it wasn't far for a communication to have  
17 occurred from one place to the other.

18 MR. BRESLAND: Okay, thank you.

19 MR. BANKS: And I might add that  
20 after the series of incidents occurred, there  
21 was a presence at the facility from  
22 representatives from the corporate

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 headquarters in an attempt to put their arms  
2 around the magnitude of these incidents.

3 MR. SAENZ: Especially during the  
4 third fatal incident, there was a big  
5 presence.

6 CHAIRPERSON MOURE-ERASO: Can't  
7 hear.

8 MR. SAENZ: For the third incidence  
9 there was some corporate presence.

10 MR. CHICCA: A significant  
11 corporate presence in order to try and fix the  
12 hydrogen problem.

13 CHAIRPERSON MOURE-ERASO: Okay, I  
14 have a couple of questions. When the company  
15 found out about the combustibility of iron  
16 after the tests that they conducted, I  
17 presume, what changes do they take? Did they  
18 do something around training, I believe? Can  
19 you talk to us about that?

20 MR. CHICCA: All that we've been  
21 able to find as a result of their combustible  
22 dust testing and when they got the results

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 back that this dust was explosible and clearly  
2 dangerous. All they improved their existing  
3 training program.

4 But even in our investigation, we  
5 found that their training program wasn't even  
6 specific to iron dust. It was in general  
7 combustible dust and these are the hazards to  
8 be aware of. And it wasn't as robust as you  
9 would have expected given that result.

10 And at least from our standpoint  
11 until the incidents occurred, there hadn't  
12 been any engineering controls or  
13 administrative controls put in place as a  
14 result of that testing.

15 CHAIRPERSON MOURE-ERASO: And one  
16 of your recommendations, I believe  
17 Recommendation No. 6 is Slide No. 81. You  
18 said that the company -- you recommended the  
19 company develop training materials that  
20 addressed combustible dust, etcetera,  
21 etcetera. And required refresher training  
22 and so on.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1           Could you, sir, describe for me how  
2 do you think that that particular training  
3 might have some effect on preventing flash  
4 fires and explosions?

5           MR. SAENZ:     When workers in a  
6 facility have appropriate training, they  
7 become aware of the hazards and the particular  
8 need to control those hazards and what steps  
9 need to be taken to control those hazards to  
10 minimize the risk of having an incident.

11           So for example, if in this case  
12 with the iron dust, workers are made aware of  
13 the severity of the fire hazard from this dust  
14 when it becomes a cloud and ignites as we have  
15 seen in these incidents, they will become more  
16 diligent in their efforts to avoid situations  
17 or practices that can create those kinds of  
18 situations.   So the appropriate training has  
19 to be specific to the chemicals involved.

20           And there is a federal hazard  
21 communication standard put out by OSHA that  
22 addresses these issues.   But the specific

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 hazards of the material at hand need to be in  
2 that training.

3                   Unfortunately, they received  
4 generalized combustible dust training, perhaps  
5 similar to our dust explosion video that we  
6 showed earlier which would discuss combustible  
7 dust. But not all combustible dusts behave  
8 exactly the same way. And in this particular  
9 case with the iron dust, the fire hazard is  
10 quite severe, even from a small amount of iron  
11 dust.

12                   CHAIRPERSON MOURE-ERASO: But  
13 wouldn't you think that even with the best  
14 possible training of the combustibility of  
15 this dust, the type of situation that you  
16 showed us that you even filmed and  
17 photographed during your investigation shows a  
18 situation in which the machines were  
19 generating tremendous amounts of dust  
20 constantly and there were all the possibility  
21 of this dust becoming airborne and heightened  
22 situations.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           And I understood a little -- that  
2           the best possible training to the workers  
3           would have kind of addressed that situation of  
4           the type of organizational work and the system  
5           of production that was happening in the plant  
6           at the time of the incident.

7           MR. SAENZ:    Yes, you have a very  
8           good point there.  Again we would go back to  
9           the hierarchy of controls.  Training comes in  
10          under administrator controls.  So anything  
11          about the equipment, the keeping the material  
12          inside the equipment and away from the people,  
13          would take precedence over training.

14          Training is a way of putting  
15          administrative controls into place, changing  
16          procedures, changing how people work.  And  
17          that is not as high a level of prevention as  
18          you would get from the engineering controls  
19          which are mentioned in the NFPA standard.

20          MR. CHICCA:   Which we have to  
21          attempt to address.

22          MR.    BANKS:        Our    other    two

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 recommendations to Hoeganaes is attempt to  
2 address them fixing the engineering controls.

3 CHAIRPERSON MOURE-ERASO: Thank  
4 you.

5 MR. BANKS: And I might add that  
6 our expectation would be that if there was a  
7 development of more rigorous training that the  
8 company is acknowledging that there is a  
9 presence of material that requires more  
10 rigorous training and send the message to the  
11 workforce that the presence of this dust or  
12 this material isn't going to be tolerated and  
13 encourage folks to point out where that the  
14 problems are. The best message of where the  
15 problems are, are on the workforce, the folks  
16 that are doing this work day-to-day.

17 MR. GRIFFON: I just wanted to  
18 follow up on Mr. Bresland's question about the  
19 organization. You know, I mean I guess, I  
20 wonder -- and this sort of goes beyond your  
21 hierarchy of controls above the engineering  
22 controls and to the question of what has the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 company done? I hear things about training  
2 and making the workers be more cognizant of  
3 the hazards and things like that, some things  
4 on engineering control.

5 But I guess my question goes to the  
6 higher level of what has the company done in  
7 terms? It seems pretty clear to me that for  
8 years they've not recognized this as a real  
9 risk. And I don't know that initiating  
10 training programs and vacuuming up dust  
11 occasionally addresses that higher level of  
12 change that I think needs to take place to  
13 make sure they turn this around.

14 So do you know if any -- I heard  
15 last night that some of the families mentioned  
16 that they have done some work on the hydrogen  
17 side. But do you know of anything that  
18 they've done to sort of -- at the organization  
19 level to sort of address the -- how they are  
20 addressing this risk of dust hazard in the  
21 plant?

22 MR. CHICCA: Since the third

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 incident, they have installed a couple of  
2 engineering controls in terms of -- they've  
3 enclosed some of their conveyance equipment.  
4 Originally they had, I guess, certain exit  
5 ports that would openly dump into a container.  
6 And now, for example, they've enclosed that  
7 connection. So now it doesn't pour directly  
8 into the air and into the container is an  
9 example of one of the things they've done.

10           Since we've been there in August,  
11 we haven't had the opportunity to see what  
12 additional engineering controls they've put  
13 into place. Certainly that particular example  
14 I've given is not enough.

15           And we did notice that they had an  
16 increased level of vacuuming. And I would  
17 hope that is not necessarily permanent that  
18 that is there to remove the build-up that  
19 they've had over their lifetime of operations  
20 and that they will, at least after following  
21 our recommendations, properly enclose all  
22 their equipment. And then they won't have to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vacuum.

2 But as we understand it right now  
3 from our last tour in August, they're  
4 vacuuming. And they've done a couple of  
5 engineering controls. That's all we can  
6 share.

7 MR. GRIFFON: And I won't harp on  
8 this question, but I'm wondering if the  
9 company has changed any policies or made any  
10 organizational changes, not so much the  
11 engineering changes and specifics. But for  
12 instance you know just something like near-  
13 miss reporting and when they have these near-  
14 miss flash fires, are they going to institute  
15 a policy where they investigate even the  
16 smallest flash fire even if no one is hurt.

17 I mean I think that's what I'm  
18 wondering is if you see any evidence or if you  
19 -- I don't know if you examine that part of  
20 it. But is there any evidence that you have  
21 that they're instituting different policies or  
22 making sort of corporate changes?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 MR. CHICCA: As far as I -- we  
2 haven't looked into that.

3 CHAIRPERSON MOURE-ERASO: Thank you  
4 very much. So this has been an excellent  
5 presentation. And you answer questions very  
6 well I believe. And I think that we all  
7 deserve a short break of 10 minutes. So don't  
8 touch that dial. We're going to hear final  
9 testimony of experts in 10 minutes.

10 So please stand up. Stretch your  
11 legs. There is some coffee and refreshments  
12 in the back, some water.

13 (Off the record at 7:36 p.m. and  
14 back on the record at 7:48 p.m.)

15 CHAIRPERSON MOURE-ERASO: Thank you  
16 very much. So the program continues. First  
17 of all, I would like to thank our panelists  
18 for their tremendous effort of moving from  
19 their different parts of the country to here  
20 to Gallatin, Tennessee, to the place where  
21 these incidents happened.

22 And the way that we're going to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 proceed is we're going to have three panelists  
2 first addressing the different issues. And  
3 then we'll open the floor for questions of the  
4 Board and the Investigation Team to the  
5 panelists. And then we invite the second and  
6 third panelists and we'll follow the same  
7 procedure.

8 The first panel includes Professor  
9 Paul Amyotte at the Dalhousie University in  
10 Canada. And the second member of the panel is  
11 Dr. Robert Zalosh from Firexplo. And the  
12 third is Mr. John Cholin from Cholin  
13 Consultants.

14 So I'd like to call Professor  
15 Amyotte as the first panelist. Professor  
16 Amyotte.

17 DR. AMYOTTE: Mr. Chairman, members  
18 of the Board, ladies and gentlemen. I'd like  
19 to begin by expressing my condolences to the  
20 families of the men who died as a result of  
21 the incidents that we are discussing this  
22 evening and to all who have been injured or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 otherwise adversely impacted by these events.  
2 Although my presentation is by necessity  
3 technical, I want to assure you that it is not  
4 lacking in compassion.

5 I also want to thank the U.S.  
6 Chemical Safety Board for inviting me to be  
7 here and to give this presentation.

8 In accordance with the requirements  
9 of the Tennessee Board of Architectural and  
10 Engineering Examiners, I first declare that I  
11 am registered as a Licensed Professional  
12 Engineer in the Province of Nova Scotia,  
13 Canada. And I'd like to talk a little bit  
14 about dust explosion testing.

15 I've had the opportunity to review  
16 the results of the Hoeganaes iron dust  
17 laboratory scale explosibility testing that  
18 was commissioned by the Chemical Safety Board.  
19 We saw those results this evening. These  
20 tests were conducted using a 20 liter chamber  
21 in accordance with American Society for  
22 Testing and Materials, or ASTM, test method

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 E1226.

2           The results in terms of maximum  
3 explosion pressure,  $P_{max}$ , and size normalized  
4 maximum rate of pressure rise,  $K_{st}$ , are  
5 generally consistent with my expectations for  
6 such data in terms of the comparison to  
7 available data bases and the published  
8 literature. The test results are also  
9 generally consistent with my own experience in  
10 20 liter testing with metal dust such as iron  
11 and steel.

12           I've also had the opportunity to  
13 review the CSB's description of the three  
14 incidents involving iron dust which occurred  
15 at the Hoeganaes Gallatin facility during  
16 2011. That analysis is in my opinion  
17 consistent with generally accepted principles  
18 of causation of dust flash fires and  
19 explosions.

20           For example, as we saw this  
21 evening, the fuel oxidant mixing criteria was  
22 met in the January 31st incident by restart of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 a bucket elevator, in the March 29 incident by  
2 mechanical force, and in the May 27th incident  
3 by primary hydrogen explosion. All of these  
4 scenarios are consistent with known means of  
5 an inadvertent dispersal of dust layers and  
6 generation of dust clouds in industry.

7 My direct experience in dust  
8 explosion testing is with laboratory scale  
9 chambers on the order of 20 liters in volume.  
10 To see that 20 liter chamber in particular has  
11 been described by its developer, Richard  
12 Sevec, as being more convenient and less  
13 expensive than the standard referenced one  
14 cubic meter chamber. And there's no doubt,  
15 the one cubic meter testing involves increased  
16 capital and operating costs over 20 liter  
17 testing.

18 So attractive economics and ease of  
19 operation cannot of course form the sole basis  
20 for the acquisition of explosion data.  
21 Standardization of 20 liter apparatus to yield  
22 dust explosibility data that correlate with

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 those acquired in the standard one cubic meter  
2 vessel must be undertaken. And this is stated  
3 unambiguously in ASTM E1226, previously  
4 mentioned standard test method for dust cloud  
5 explosibility.

6 Recent papers in the process safety  
7 literature have addressed the important issue  
8 of overdriving in the 20 liter chamber. Now  
9 overdriving is a phenomena in which the  
10 energetic chemical igniters use to initiate a  
11 dust explosion in closed vessel testing can  
12 raise the temperature and pressure of the dust  
13 cloud prior to ignition.

14 And it should also be noted that  
15 these igniters act as multi-point ignition  
16 sources by sending a shower of sparks through  
17 the ignition volume.

18 While overdriving is typically not  
19 a concern in a larger one cubic meter test  
20 volume, it can be problematic in yielding  
21 false positives in smaller test chambers. So  
22 to clarify dust explosibility in these

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 instances, the use of a lower ignition energy  
2 or larger test volume is recommended.

3 I believe that these recent  
4 publications should be carefully considered by  
5 the dust explosion research and testing  
6 community. In the Pmax and Kst data are given  
7 for various dusts showing generally poor  
8 correlation between the 20 liter and one cubic  
9 meter chambers. These discrepancies are  
10 especially disconcerting given that one of the  
11 dusts is like a podium of material known to  
12 yield comparable explosion data in -- and I  
13 would emphasize -- calibrated and standardized  
14 20 liter and one cubic meter chambers.

15 The matter is made all the more  
16 critical, given the suggestion of a possible  
17 Kst cutoff value in the 20 liter chamber to  
18 account for overdriving.

19 While it's interesting to note this  
20 recent emphasis on the Kst parameter as a  
21 measure of dust explosibility, it's also worth  
22 noting that Kst finds its primary use in the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 sizing of explosion relief vents and the  
2 design of explosion isolation and suppression  
3 systems.

4 A more appropriate measure of  
5 whether a dust is explosible is the maximum  
6 explosion pressure, Pmax. In fact it is this  
7 parameter that is used as the explosion  
8 threshold in ASTM E1515, the standard test  
9 method for determination of the minimum  
10 explosible concentration, or MEC.

11 ASTM E1515 clearly addresses the  
12 issue of overdriving by requiring the use of a  
13 2.5 kilojoule or 5 kilojoule ignition energy  
14 in a 20 liter chamber rather than the 10  
15 kilojoule energy stipulated by ASTM E1226. So  
16 the distinction should be quite clear. These  
17 are two different standards with two different  
18 purposes.

19 To conclude, I'd like to comment on  
20 the use of subjective qualifiers to describe  
21 ranges of values for Kst. In short it is my  
22 opinion that such descriptors at best are of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 limited use and at worst can provide a false  
2 sense of security. And I'm referring to the  
3 ST classification system and its corresponding  
4 use of the terms weak, strong, and very  
5 strong, depending on the value of Kst.

6 For example, ST1 dusts have Kst  
7 values in the range of 1 to 200 bar meters per  
8 second. And are sometimes said to yield  
9 "weak" or "weak to moderate" explosions. Such  
10 dust include the following materials that are  
11 involved in dust explosion incidents  
12 investigated by the CSB -- granulated sugar,  
13 aluminum, polyethylene, phenolic resin, and  
14 now iron.

15 Given the significant loss of life,  
16 injuries, equipment and other asset damage,  
17 and business interruption that occurred in  
18 these incidents, including those at the  
19 Hoeganaes facility, it's completely  
20 inappropriate to call such dust, such  
21 materials "weakly explosible."

22 I would ask that the full text of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 my written submission which contains  
2 additional thoughts and is fully referenced be  
3 entered into the record of this public  
4 hearing.

5 Thank you very much, Mr. Chairman.

6 CHAIRPERSON MOURE-ERASO: Thank you  
7 very much, Dr. Amyotte.

8 Our next panelist is Dr. Robert  
9 Zalosh from Firexplo. Dr. Zalosh is also a  
10 member of the NFPA 484.

11 Dr. Zalosh.

12 DR. ZALOSH: Thank you, Mr.  
13 Chairman, for the invitation to participate in  
14 the expert panel this evening. I've prepared  
15 the following responses to questions posed to  
16 me by the CSB staff for purposes of panel  
17 discussion. I will start with my observations  
18 during my plant visits.

19 I toured the Hoeganaes production  
20 facility in February to assist the CSB staff  
21 in its investigation of the January 31st flash  
22 fire incident and again several days after the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 May 27th explosion. On both occasions I was  
2 guided by Hoeganaes personnel and accompanied  
3 by CSB investigators.

4           During my February visit, the plant  
5 was in production. Whereas it was shut down  
6 during my viewing of the May 27th explosion  
7 site and surrounding area. My visit in  
8 February started with a viewing of the bucket  
9 elevator 12 head area near the roof of the  
10 production building. My impression of that is  
11 that tight confined area was a difficult place  
12 to work even for a short period of time. And  
13 the climb down the ladder narrow mezzanine  
14 aisles and stairways produced challenges for  
15 workers trying to egress rapidly, especially  
16 when they were injured or otherwise in danger.

17           As we toured other production areas  
18 and equipment in February, I observed  
19 suspended dust being emitted from the dust  
20 collection duct and the collector media  
21 repulsed periodically with compressed air. I  
22 also observed many surfaces and floor areas

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 with extensive dust accumulations. When I  
2 viewed the annealing furnaces, I cringed at  
3 the sight of the hydrogen flames in areas not  
4 far from the accumulated and suspended dust.

5 Another impression I had from my  
6 first visit was that almost all the Hoeganaes  
7 employees I met really wanted to know what  
8 caused the January 31st flash fire and how  
9 future fires could be prevented. Hardly any  
10 of them realized that the powders they were  
11 making every day were capable of burning so  
12 intensely and producing fatal burn injuries.  
13 Many of them had experienced small smoldering  
14 fires but did not appreciate how intensely a  
15 dust cloud could burn when ignited.

16 My impression during my early June  
17 visit was that all the piping in the floor  
18 trench was severely corroded and sorely in  
19 need of repair or replacement. I was also  
20 astonished to learn that the hydrogen supply  
21 to the furnaces was not shut off as the  
22 workers proceeded to look for the gas leak.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   Next I will summarize the  
2 laboratory tests conducted on Hoeganaes dust  
3 samples. During that February visit, we  
4 collected steel dust samples representative of  
5 the dust involved in the first incident and  
6 from the dust collector in the production  
7 building.

8                   After the second incident, CSB  
9 staff collected samples of dust that had  
10 accumulated in the area where the second  
11 incident occurred.

12                   Four of the samples were tested in  
13 the 20 liter sphere to determine the dust  
14 explosion pressure  $P_{max}$  and normalized rate of  
15 pressure rise,  $K_{st}$ . The  $P_{max}$  values of the  
16 four samples tested in the 20 liter sphere  
17 ranged from 1.8 bar gauge to 3.5 bar gauge.  
18 These values are sufficiently high for all the  
19 floor samples to be classified as combustible  
20 dust.

21                   But the values are sufficiently low  
22 to raise concern about whether these tests

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 will support flame propagation and explosion  
2 development in a much larger vessel.  
3 Therefore, additional tests have been  
4 conducted in a one cubic meter test vessel  
5 having 50 times the volume of the 20 liter  
6 test vessel.

7 In order to have enough dust for  
8 the one cubic meter test, CSB staff obtained a  
9 much larger sample of Hoeganaes field dust  
10 from a dust collector in August.

11 The one cubic meter test -- vessel  
12 test -- did not result in flame propagation.  
13 The reason for the negative result in the one  
14 meter cube test vessel is subject to  
15 conjecture but has also been observed with  
16 several other dusts that produced relatively  
17 low Pmax and Kst values in 20 liter sphere  
18 testing. Additional tests and analysis are  
19 needed to fully resolve the discrepancy  
20 between the results from the two test vessels  
21 using steel dust samples.

22 Although the laboratory closed

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 vessel explosion test produced inconsistent  
2 results, additional tests demonstrate the  
3 Hoeganaes dust cloud fire hazard produced  
4 clear and convincing results. These fire  
5 tests were conducted by ejecting steel dust  
6 samples out of a nozzle situated above a  
7 propane burner. As soon as the dust particles  
8 left the nozzle, they were ignited by heat  
9 from the burner and produced an intense  
10 fireball and residual jet flame as shown in  
11 the video.

12           Measurements of the radiant heat  
13 flux near the steel dust flames combined with  
14 analysis of the radiant energy being emitted  
15 from the flames showed that the burning steel  
16 dust produced thermal loads far in excess of  
17 the thermal fluxes used in certification  
18 testing of flame resisting garments such as  
19 those worn by metal industry employees in  
20 production areas. This suggests that metal  
21 industry employees, engineers, safety  
22 officials, and management are probably working

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 with a false sense of confidence about the  
2 ability of these flame resistant garments to  
3 protect workers exposed to metal dust fires.

4 In my opinion, these people should  
5 reassess their current dust fire and explosion  
6 protection measures and place much greater  
7 emphasis on steel dust fire prevention  
8 measures in their plants. I hope the CSB  
9 report in the Hoeganaes incidents will  
10 motivate this renewed dedication to improve  
11 steel dust fire explosion prevention,  
12 including safe documented procedures for  
13 furnace leak pipe inspection and leak  
14 detection.

15 Thank you, Mr. Chairman.

16 CHAIRPERSON MOURE-ERASO: Thank  
17 you, Dr. Zalosh.

18 Our third panelist is Mr. John  
19 Cholin with Cholin Consultants.

20 Mr. Cholin.

21 MR. CHOLIN: Good evening, Mr.  
22 Chairman, members of the Board, Investigation

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Team, and ladies and gentlemen. As you said,  
2 my name is John Cholin. And I first want to  
3 express my condolences to those who were  
4 injured and to those who have suffered the  
5 loss of the loved one as the result of the  
6 dust explosions that occurred at the Hoeganaes  
7 facility. My heart aches for you.

8 As a professional engineer in the  
9 discipline of fire protection engineering, I  
10 have committed much of my life to the effort  
11 of preventing this type of incident that has  
12 taken five lives you now mourn the loss of. I  
13 mourn that loss with you.

14 As I mentioned, I'm a fire  
15 protection engineer. And for the past 30  
16 years I've been involved in managing hazards  
17 associated with combustible particulate  
18 solids, including combustible dust. I serve  
19 on a number of NFPA technical committees that  
20 write the standards regarding combustible  
21 dust. I teach seminars on dust explosion  
22 hazard management for the Society of Fire

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 Protection Engineers, Georgia Tech, OSHA, and  
2 until recently the National Fire Protection  
3 Association.

4 Over the past 30 years, I have come  
5 to believe that all these types of events --  
6 dust explosions -- are preventable. The only  
7 thing that is lacking is the recognition of  
8 the problem and the willingness to manage it.

9 Dust deflagrations and the  
10 explosions they produce are not a mystery. We  
11 in the fire protection engineer community have  
12 known how to manage dust explosion hazards for  
13 decades. That knowledge has been reduced to  
14 nationally recognized consensus standards that  
15 are published by the National Fire Protection  
16 Association, also known as NFPA.

17 Many of my colleagues and I spent  
18 many days each year writing the language that  
19 goes into those standards, bringing the  
20 standards up to date with the most recent and  
21 broad experience we can garner. And over the  
22 30 years that I've been involved in

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 combustible dust hazards, I have yet to  
2 investigate a dust explosion or dust  
3 deflagration incident that would not have been  
4 prevented if the design and operational  
5 criteria established in the relevant NFPA  
6 standard had been applied to the facility.

7 This bears repeating. I have never  
8 investigated a dust explosion that would not  
9 have been prevented if the facility had  
10 complied with the relevant NFPA standard.

11 In the mid-1990s, I investigated  
12 and reconstructed the dust deflagration  
13 incident at the Hoeganaes facility in  
14 Riverton, New Jersey, that resulted in the  
15 severe injury and the ultimate death of an  
16 employee in that facility. It involved a  
17 hydrogen reduction furnace.

18 Using the forensic information  
19 developed by the scene investigators, we were  
20 able to show using the principles of physical  
21 chemistry and physics that the hydrogen  
22 deflagration flame exiting from the furnace

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 could not have impinged upon the employee  
2 victim. Instead, we concluded that his burns  
3 were the result of a secondary deflagration  
4 involving the iron dust that had been allowed  
5 to accumulate on upward facing, horizontal  
6 surfaces within the building, including beams,  
7 pipes, electrical conduits, and lights.

8 We concluded that the initial  
9 hydrogen deflagration jarred the building,  
10 knocking the iron dust off its resting place  
11 and it was ignited by the burning hydrogen.  
12 The iron dust propagated the flame front  
13 through the interior of the building where it  
14 then engulfed the employee victim.

15 Regrettably, the lessons taught by  
16 the Riverton, New Jersey, incident were not  
17 heeded. It seems that a very similar incident  
18 has occurred in the Gallatin, Tennessee,  
19 facility. Perhaps almost 20 years later now  
20 those lessons will be heeded.

21 Virtually all metals if they are  
22 reduced to a fine particulate will burn. The

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 only exceptions I know of are platinum, gold,  
2 and silver. All of the rest can yield a flame  
3 front under the right conditions. This  
4 includes lead, manganese, magnesium, aluminum,  
5 titanium, zirconium, copper, lead. Those are  
6 the one that come to mind immediately.

7 But the burning metals produce  
8 metal oxides as a combustion product, not  
9 combustion product gases such as water vapor  
10 and carbon dioxide like most other common  
11 combustibles. The metal oxides store more  
12 heat and are able to give that heat up more  
13 rapidly than combustion product gases. The  
14 burns suffered by victims are commensurately  
15 more severe.

16 I believe the injuries and deaths  
17 suffered at the Gallatin facility could have  
18 been prevented. Applying the design  
19 operational criteria of the relevant NFPA  
20 standard would have substantially reduced the  
21 probability of occurrence and the probability  
22 of employee injury from such an event. That

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 was the case back in the early 1990s at the  
2 Riverton incident. And that appears to be the  
3 case in this Gallatin, Tennessee, event.

4 The NFPA codes and standards have  
5 been providing the necessary guidance for  
6 hydrogen management in this area for literally  
7 decades. The NFPA standards are in a  
8 continual process of improvement. The NFPA  
9 process provides for a regular refinement and  
10 updating by a broad cross section of the  
11 relevant industry to ensure that the standards  
12 reflect the current state of the art.

13 Different standards exist for  
14 different types of dust because those  
15 different types of dust pose subtly different  
16 types of hazard in different types of  
17 facility. But the principles remain the same.  
18 Manage the potential dust explosion hazards  
19 and keep the facility free of accumulated  
20 fugitive dust that can propagate a secondary  
21 deflagration. The overwhelming majority of  
22 dust explosion victims are victims of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 accumulated fugitive dust.

2 I've seen news media reports  
3 suggest that dust deflagration hazards that  
4 led to the explosion at the Gallatin facility  
5 are doomed to remain until OSHA promulgates a  
6 regulation. In my view I don't think that's  
7 true. OSHA can cite any facility exhibiting a  
8 dust explosion hazard under the General Duty  
9 Clause, Section 5A1 of the OSHA Act, using  
10 failure to comply with the relevant NFPA  
11 standard as the basis for the citation. And  
12 OSHA is doing that, and it's working. No one  
13 is waiting for a new regulation.

14 In closing let me reiterate my  
15 condolences to those of you who have been  
16 injured in this event. It is my hope that one  
17 day we will have rendered injurious dust  
18 explosions something of the past. When we  
19 have, I shall be able to rest.

20 CHAIRPERSON MOURE-ERASO: Thank you  
21 very much, Mr. Cholin.

22 So I would like to offer the floor

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for questions from the Board and the  
2 Investigative Team if they want so.

3 Any questions for the Board? Mr.  
4 Bresland?

5 MR. BRESLAND: Just holding up on  
6 Mr. Cholin's comments, does there really have  
7 to be a regulation? I mean there are  
8 standards out there that may or may not apply  
9 to a particular facility. But if you read the  
10 standards and you understand that there is a  
11 hazard, what's to stop them -- what's to stop  
12 a company from complying with those whether  
13 there's a regulation or not?

14 MR. CHOLIN: There's nothing to  
15 stop a company from complying with a relevant  
16 NFPA standard. As a matter of fact, as a  
17 consulting engineer, I routinely take bits and  
18 pieces out of non-enforceable NFPA standards  
19 and apply them to the problems that my clients  
20 have in order to develop a fire protection  
21 strategy.

22 It takes a commitment from top

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 management. If you have a company with a  
2 culture of commitment to excellence and a  
3 commitment to employee safety, then they will  
4 find the kind of engineering guidance they  
5 need to manage their hazards.

6 MR. BRESLAND: You described the  
7 New Jersey incident that you investigated. Do  
8 you see a similarity between that incident and  
9 the one that occurred 20 years, 19 years,  
10 later here in Gallatin?

11 MR. CHOLIN: Yes, I do see  
12 similarities in the one -- I haven't read the  
13 report obviously because it hasn't been  
14 promulgated as yet. But in the presentations  
15 here, we've seen iron dust being ignited and  
16 propagating a deflagration engulfing  
17 employees. Iron dust deflagrates. Just in my  
18 own practice, I can think of six different  
19 iron dust deflagrations that I've  
20 investigated.

21 MR. BRESLAND: Okay, thank you.

22 CHAIRPERSON MOURE-ERASO: Mr.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701



1 Griffon?

2 MR. GRIFFON: I just have a -- this  
3 might be getting into the reads on the testing  
4 a little bit. But I'm curious. There was  
5 mentioned that the Professor Amyotte mentioned  
6 that the Pmax values is a better -- and make  
7 sure I get this right -- a better test of the  
8 explosivity that could be used for these, as  
9 some have defined them, as minimally  
10 combustible dust with lower Kst values. And  
11 you said that ASTM E1550, which I'm not  
12 familiar with. But I was wondering if that  
13 approach, that test, is cited in NFPA  
14 standards or you applied often or to what  
15 extent is that applied in the field?

16 DR. AMYOTTE: I'm really not  
17 qualified to say whether it's cited in any  
18 NFPA standards. I think others can. But it's  
19 the test that the ASTM standard test  
20 determining minimum explosible concentration  
21 which by definition you need that amount of  
22 dust to have an explosion. If you go up to as

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 high a concentration as you can go in the 20  
2 liter chamber, it'd be up to 3,000 grams per  
3 cubic meter, and the dust does not explode,  
4 you don't have a minimum explosible  
5 concentration under those conditions.

6 To me that's the true test for  
7 explosibility because that standard calls for  
8 -- it's the same test -- the same test vessel,  
9 the same test conditions in the 20 liter Sevec  
10 chamber as for Kst, except you back off on the  
11 ignition energy, 10 kilojoules for Kst to  
12 determine the minimum explosible  
13 concentration, the ignition energy is now 5  
14 kilojoules or which gives it perhaps a more  
15 conservative MEC value or you can go to 2.5  
16 kilojoules.

17 So when you determine the Kst,  
18 you're trying to determine this parameter  
19 that's used, as I said, to size an exposure  
20 relief vent. You have a very strong air blast  
21 dispersing the dust, a very short ignition  
22 delay time. So you have a very well mixed and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 stirred turbulent dust cloud. And then you  
2 hit it with these 10 kilojoules worth of  
3 energy. So there's no question that you have  
4 to overcome the ignitability limitations of  
5 the dust.

6 So it's really Kst determination is  
7 the worst case scenario. You're really trying  
8 to determine what is this parameter that I can  
9 use to size an exposure relief vent. To me  
10 that's not a test for explosibility, will the  
11 dust explode or not? The relevant standard I  
12 believe, if you're going to talk about dust  
13 explosibility, is the ASTM E1515.

14 I recently had occasion to converse  
15 with a colleague in Europe when they talk  
16 about determining whether a dust will explode.  
17 They use 2 kilojoules energy in the 20 liter  
18 chamber and then an explosion over pressure  
19 criteria, not Kst to determine whether a dust  
20 is explosible.

21 MR. GRIFFON: So just to follow up  
22 on that, I've seen some literature that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 suggests that the -- and I think you said it  
2 as well, that the meter cube test is the  
3 preferred test. I think NFPA in 484 mentions  
4 the -- I think I'm getting this right -- the  
5 more reliable test for the low Kst value of  
6 dust than the 20 liter.

7 And I guess my concern has been  
8 that if someone says, well, I'm looking at the  
9 standard and I want to do the most reliable  
10 test, they get a negative test with the meter  
11 cube test, Kst of zero. Then they can  
12 conclude that it's not a hazard.

13 And I'm concerned that that is -- I  
14 mean based on what you're saying that's a  
15 misinterpretation. But I'm concerned that  
16 some might draw that conclusion by following  
17 sort of the literature and other and even the  
18 NFPA and not follow up with -- but do you have  
19 an opinion on that?

20 DR. AMYOTTE: I guess I would share  
21 somewhat similar concern, but my real concern  
22 is someone who provides information on dust

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 explosibility to industry to 20 liter testing,  
2 I'm not a regulator. I'm not a standard  
3 setter. So I'm going to sit here and I'm  
4 going to tell you, I'm far more concerned of  
5 those false negatives than I am false  
6 positives.

7 And you'll find that, I believe,  
8 that uniformly people who work in the industry  
9 and provide explosibility data to industry,  
10 before I tell anyone that this dust will not  
11 explode, I really have to think about it.

12 So there's nothing wrong with 20  
13 liter data, absolutely nothing. You can go to  
14 the manufacturer website, their calibration  
15 round robin testing that's underway right now  
16 and you'll see the results for 34 20 liter  
17 chambers throughout the world, Kst and Pmax  
18 comparing with one cubic meter data very  
19 nicely. Now that's for a relatively high Kst  
20 value.

21 You have to standardize and  
22 calibrate the 20 liter chamber to reproduce

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the data that you get in a one cubic meter  
2 chamber. And you have to be very aware what  
3 the potential for overdriving with low Pmax,  
4 low Kst dust as in the case of iron dust. And  
5 if you're concerned to the extent that you may  
6 in fact be producing a false positive, you can  
7 back off on the ignition energy in the 20  
8 liter chamber.

9 If you're still into the MEC test,  
10 if you're still concerned, do one cubic meter  
11 testing. That's basically my point.

12 MR. GRIFFON: And are you aware of  
13 -- because I've seen a lot of tests -- not a  
14 lot, but some tests that compares 20 liter to  
15 the meter cubed. And are you aware of data  
16 that shows three correlation on the, say, less  
17 than 50 Kst values for the meter cubed  
18 compared to the 20 liter or the energy source?

19 DR. AMYOTTE: No, the comparative  
20 data in the ASTM E1226 and the 1515 standard  
21 are -- well, E1226 are for higher Kst --.  
22 There's no question that the issue of low Kst

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 dust is a concern in 20 liter chamber. The  
2 fact is that many of the dusts I would say of  
3 the thousands of tests we've done in our Sevec  
4 20 liter chamber most of the Kst's are high.  
5 I mean they're not down in the range of iron  
6 dust.

7 MR. GRIFFON: And the last question  
8 because I know this is getting over my head on  
9 this technical subject, but you mentioned --  
10 you're more concerned about false negatives  
11 than -- and I would say I am as well for the  
12 meter cubed testing I'm worried about the  
13 false negatives. And has there been any  
14 testing around -- because there's been a lot  
15 of literature talking about the overdriving  
16 issue on the smaller chamber. Is there any  
17 literature to examine the false negatives on  
18 the larger chamber test?

19 DR. AMYOTTE: Bob can perhaps  
20 comment more on this. But I think that my  
21 experience is mostly in 20 liter testing. My  
22 understanding of the one cubic meter data is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that there is really not a concern with  
2 overdriving. You can do tests for Kst with 10  
3 kilojoules, 20, 30 kilojoules energy in the  
4 one cubic meter chamber. And the volume is  
5 simply too large to overdrive it.

6 So I think if a dust is -- it's  
7 generally accepted that if a dust will  
8 explode, you don't get a measurable pressure -  
9 - explosion overpressure in the one cubic  
10 meter chamber, then it's non-explosible.

11 MR. GRIFFON: So the issue -- I've  
12 heard that the issue of false negatives in the  
13 one cubic meter chamber is a concern.

14 DR. AMYOTTE: Bob, do you have a  
15 comment on that?

16 DR. ZALOSH: My experience has been  
17 a little bit different than Paul's in terms of  
18 the one cubic meter. There've been many tests  
19 with iron dust in 20 liter chambers with --  
20 even with low ignition energies.

21 The OSHA Salt Lake Tech Center, for  
22 example, uses a two and a half kilojoule

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 ignition energy and goes in an effort not to  
2 overdrive the 20 liter sphere. And still the  
3 -- there is a fairly consistent discrepancy in  
4 between the results for the 20 liter sphere  
5 and the one cubic meter test vessel for the  
6 kind of dusts that we're -- that are at the  
7 Hoeganaes facility. So it is an open issue.

8 Another complicating factor that we  
9 haven't articulated just very quickly is the  
10 nature of the sample, where it's taken from  
11 and what sort of condition it has and to the  
12 extent that there might be an oxide layer  
13 formation.

14 And also there are different  
15 methods of dispersing the dust in the one  
16 cubic meter. Most of the characterization of  
17 the one cubic meter has been with an  
18 apparatus, a perforated tube, that vents to  
19 generate a more uniform dust cloud than the  
20 other method of characterizing it. And then  
21 you have differences in settling. There are  
22 issues with both test vessels.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   And I think that -- besides needing  
2 more work to resolve them, I don't think  
3 either one provides the direct  
4 characterization of the flash fire hazard that  
5 you need to see with your own eyes to  
6 visualize. And I would like -- I for one  
7 would like to see a different test to  
8 characterize the hazard of the flash fires  
9 that have happened in this facility rather  
10 than fight the battle of the 20 liter versus  
11 the one cubic meter.

12                   MR. GRIFFON: I'll just finish by  
13 saying I think you mentioned an open issue.  
14 And I think that's sort of been my position.  
15 That I -- and what I'm urging our team to  
16 consider recommendations on closing this  
17 issue. And I'm not exactly sure where we  
18 might recommend. I think there's some ASTM  
19 committees possibly that can look further into  
20 this or possibly NFPA research group or  
21 something like that.

22                   The reason I think it's important

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 is that, having attended the dust symposium in  
2 Detroit, I heard a lot of industry folks  
3 asking the question. Well, which one? I'm  
4 hearing 20 liter, meter cubed. Which one do I  
5 go with? And I think hopefully people would  
6 take the most conservative approach. But I'm  
7 not sure that we can just assume that. So I  
8 think that it's something that I'm going to  
9 urge that we add as a recommendation and do  
10 more follow-up on.

11 MR. ZALOSH: One final quick point.  
12 The issue that -- discuss the overdrive refers  
13 to the propagation of the explosion away from  
14 this shower of sparks and ignition source.  
15 And that's where the disagreement and the  
16 inconsistencies lie. But there is no  
17 inconsistency with regard to the metal dust in  
18 that the individual dust particles are capable  
19 of burning and producing these flash fires.

20 So I think it's unfortunate if we  
21 get bogged down in the propagation issue when  
22 we know for a fact that the burning of the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 individual dust particles can produce fatal  
2 burn injuries and there's got to be something  
3 done to deal with that.

4 CHAIRPERSON MOURE-ERASO: Thank  
5 you. I have a couple of very practical  
6 questions. This is to Dr. Amyotte. You said  
7 that the classification of the Kst's that you  
8 -- that is currently practiced giving false  
9 sense of security. And I do think that is  
10 indication of that weak to strong and very  
11 strong or something similar to that. And I  
12 think you said that there are specific  
13 examples like sugar and iron that aren't  
14 classified as weak and that has killed dozens  
15 of people in our experience.

16 So I wonder if you can make a  
17 particular recommendation of how could this be  
18 changed to avoid this false sense of security  
19 in this classification of weak to strong and  
20 very strong?

21 DR. AMYOTTE: I would just say with  
22 respect on use of those words, you know, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 ST classification system is probably thirty or  
2 so years old. I think it originated with  
3 Barton in Germany in his pioneering work. It  
4 has some values.

5 We like to categorize things. You  
6 know 1 to 200, 201 to 300, greater than 300.  
7 But fine, but then to put -- and I think at  
8 one time venting correlations were sort of  
9 based on the ST class, maybe not so much the  
10 actual Kst value.

11 But then to put these subjective  
12 qualifiers on, I think as soon as we start  
13 something -- all of the dust and table in the  
14 drafting part that I saw that have been  
15 investigated by the CSB are ST1 dust.

16 We saw a video tonight of the  
17 Imperial Sugar Refinery explosion. I would  
18 not call that weakly explosible, the result of  
19 a weakly explosible dust. So that's really my  
20 point that these subjective, qualitative  
21 qualifiers can provide a false sense of  
22 security.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I also have some strong opinions on  
2 the explosion severity in grouping parameters  
3 together and such. But being a university  
4 professor, I can talk 50 minutes at a time and  
5 I'll stop right now.

6 CHAIRPERSON MOURE-ERASO: Mr.  
7 Cholin.

8 MR. CHOLIN: Yeah, the Kst on the  
9 qualitative basis tells you how the  
10 deflagration is going to behave. Actually the  
11 personnel entry record for low Kst dust is far  
12 worse than high Kst dust. With a low Kst  
13 dust, the pressure increases relatively  
14 slowly. The building can stretch. And as the  
15 building stretches, it is literally channeling  
16 the flame front down corridors through  
17 doorways into adjacent compartments. And  
18 that's where other people are.

19 With a high Kst dust, the pressure  
20 rises very rapid. The building relieves.  
21 There isn't time for the flame front to go  
22 down through the building and impinge upon

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 other people. The building relieves and the  
2 flame front goes up into the stratosphere.

3 This weak and moderate and severe  
4 classification came from that U.S. Bureau  
5 Mines report that was reduced to MNAB353. It  
6 has been shown to be wrong. It was shown to  
7 be wrong decades ago. It's still in the  
8 federal database there. That document is  
9 there.

10 But none of the NFPA  
11 standards embrace that classification method  
12 any more. The absolute last standard to  
13 embrace it was NFPA 499 -- this this last  
14 revision cycle. But it takes a long time for  
15 the governmental infrastructure to catch up  
16 with the engineering community that's looking  
17 at the research and writing the standards.

18 CHAIRPERSON MOURE-ERASO: A  
19 question that I would like to direct to Dr.  
20 Zalosh is you say that the flame resistant  
21 clothing that you find in your visit to  
22 Hoeganaes. If a --it would be a false sense

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 of confidence to people that were wearing it  
2 with terrible results. I wonder if you can  
3 conceive, given the circumstances of this  
4 particular incident, there could have been any  
5 flame resistant clothing that would have  
6 protected the people that died in this  
7 situation?

8 DR. ZALOSH: There are more  
9 substantial levels of flame resistance than  
10 are possible to wear. The basic approach to  
11 the flame resisting clothing that's worn by  
12 most of the workers in the metal industry is  
13 that they want to have some level of flame  
14 resistance, but yet not have something that's  
15 either uncomfortable or hinder their movements  
16 that they won't -- that they want something  
17 that they can wear for the entire duration of  
18 the shift.

19 Whereas, the kind of workers that  
20 somebody's doing -- opening electrical boxes  
21 who have a much more, much higher level of  
22 heat flux resistance, but that clothing is

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 just intended to be worn for a short period of  
2 time. So you can achieve higher levels of  
3 protection. But the issue is is there  
4 something that can allow -- give you that high  
5 level of protection and yet be worn for a  
6 longer period of time.

7 Or another way of looking at it is  
8 can you separate the more hazardous operations  
9 from the less hazardous operations and  
10 encourage the folks who are in greatest  
11 jeopardy in the more hazardous operations to  
12 wear the higher levels of heat flux resistance  
13 for at least for that short period of time  
14 when they're doing those kinds of operations?  
15 There's a lot of work to be done to sort out  
16 how these other more resistant PPE garments  
17 can be worn.

18 CHAIRPERSON MOURE-ERASO: Thank  
19 you. Is there any questions across the  
20 investigation panel to the other panel?

21 MR. SAENZ: I had a comment. On  
22 the last question about the flame resistant

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 clothing, there are various tests for  
2 characterizing the performance of flame  
3 resistant clothing. But I think as we  
4 mentioned earlier, that is the last resort  
5 because at that point the person is already  
6 being exposed to the hazard. And the clothing  
7 is there to minimize the consequences to its  
8 ability to do so.

9           However, the engineer controls and  
10 the administrative controls are a better way  
11 of protecting the workers. So as Dr. Zalosh  
12 was mentioning, administrative controls can be  
13 put in place to separate out the higher hazard  
14 operations from the lower hazard operations.  
15 And that people can be put into higher levels  
16 of PPE when they're going to be performing  
17 specific tasks. That's an administrative  
18 control.

19           But is there some other way to  
20 accomplish the same task without having to  
21 expose the person to that level of hazard?

22           For example, in many chemical

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 facilities, there are flammable chemicals  
2 contained inside the equipment. But before we  
3 allow someone to open that equipment, we have  
4 a procedure that clears or cleans out, washes  
5 out the equipment itself. So that at best  
6 there's some very small residual amount or  
7 concentration of the hazardous chemical  
8 inside. Before you open equipment, there are  
9 ways of clearing the equipment so that people  
10 are not then exposed to the hazardous  
11 chemical, in this case the iron dust.

12 CHAIRPERSON MOURE-ERASO: Thank  
13 you. Any other comments from the panel?

14 MR. BRESLAND: Just follow-up one  
15 comment or one question on the FRC. The FRC,  
16 in the refining industry, the auto refining  
17 industry, you see people wearing or people  
18 wear FRC clothing routinely day in and day  
19 out. How does the level of protection for  
20 that type of FRC compare to the level of  
21 protection that we see here at Hoeganaes?  
22 Would it be about the same or higher or lower?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 DR. ZALOSH: Well, if they're  
2 wearing the flash fire resistant PPE garments  
3 that are covered by NFPA 2112 standard, then  
4 they would be comparable because there's just one  
5 level of fire protection for the flame  
6 resistant garments.

7 However, as I was alluding to in  
8 response to Dr. Moure-Eraso's question, these  
9 are flash resistant garments which are  
10 inherently heavier, provide a more substantial  
11 level of heat flux resistance. But that's the  
12 kind of thing where the electrical workers  
13 would just don when they're going to open a  
14 high voltage cabinet. And they're not wearing  
15 it eight hours a day. So that's where the  
16 possibility of improved protection exists.  
17 But how do you use it wisely I guess is open  
18 to question.

19 MR. BRESLAND: I guess a follow-up  
20 to that is then would someone who had  
21 Hoeganaes who's wearing FRC, would that give  
22 them a false sense of protection from the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 potential hazard of a dust explosion?

2 DR. ZALOSH: Well, let me give a  
3 specific example. The operation involved in  
4 the first incident of viewing with the head of  
5 a bucket elevator and opening up a access door  
6 with buckets full of this powder and then  
7 starting it up, that's an example of an  
8 inherently hazardous operation. And so I  
9 wouldn't want to see people doing that without  
10 an improved level of fire resistant clothing  
11 if they indeed have to do that kind of  
12 operation in close proximity more so than  
13 obviously workers had here.

14 So that's where I think there are  
15 opportunities for improved protection even  
16 though the PPE, I agree with what's said, is  
17 the last line of defense.

18 CHAIRPERSON MOURE-ERASO: Okay,  
19 thank you. We could go all night. But I  
20 believe we would like to thank you very much.  
21 I would like to thank Dr. Amyotte, Dr. Zalosh,  
22 and Mr. Cholin. We feel this is very useful

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 for us to have this opportunity to hear of  
2 your wisdom and your knowledge of this. And  
3 again, thank you.

4 And we're going to continue the  
5 program right away. So I'm going to ask you  
6 if you could allow the next panel to come in.  
7 Thank you very much.

8 And I will introduce you to the  
9 next panel. We are very pleased that the  
10 National Fire Protection Association is  
11 represented here and is going to be with us.  
12 We have Mr. Guy Colonna from the National Fire  
13 Protection Association that is going to be a  
14 member of the panel. The second member of the  
15 panel is Mr. Bruce Johnson for the  
16 International Code Council. He's going to be  
17 seated on the panel. And we have also for  
18 this second panel, have invited Ms. Tammy  
19 Miser from the United Support and Memorial for  
20 Workplace Fatalities that unfortunately didn't  
21 arrive and she won't be on the panel. So on  
22 the panel here we only have Mr. Johnson and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 Mr. Colonna.

2 So I'm going to call first off Mr.  
3 Johnson from the International Code Council.  
4 Mr. Johnson.

5 Excuse me. I have been informed  
6 that Ms. Tammy Miser, her car broke down and  
7 she couldn't come. But in her place we have  
8 Chris Shorbone. That is from one of the  
9 families of one of the persons that died in  
10 the Hoeganaes incident that also will be  
11 talking to us at this time.

12 So again, we'll start with Mr.  
13 Johnson.

14 MR. JOHNSON: Thank you and good  
15 evening, Mr. Chairman, members of the Chemical  
16 Safety Board, the Investigator Team, and  
17 members of the public that are here this  
18 evening.

19 First of all on behalf of the ICC,  
20 I'd like to express our sincere condolences to  
21 the families of the five employees who have  
22 lost their lives in the Hoeganaes incidents

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and also to the families of those who were  
2 injured.

3 The International Code Council is a  
4 member-focused association dedicated to  
5 helping the building safety community and  
6 construction industry provide safe,  
7 sustainable, and affordable construction  
8 through development of codes and standards  
9 used in the design, build, and compliance  
10 process. Most U.S. communities and many  
11 global markets choose the International Codes.

12 The International Codes, or I  
13 Codes, are developed through a governmental  
14 consensus process. It is an open inclusive  
15 process that allows input from all individuals  
16 and groups. While everyone can participate in  
17 the process, final decisions are made by ICC's  
18 voting members, governmental members who with  
19 no vested interest beyond public safety  
20 represent the public's best interest.

21 The consensus process through which  
22 ICC develops and maintains comprehensive and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 balanced codes is designed to protect the  
2 public's health and safety and welfare as well  
3 as protect our planet by encouraging water and  
4 energy conservation and other sustainability  
5 methods.

6           The ICC process allows all  
7 jurisdictions regardless of size to benefit  
8 from the expertise of thousands of  
9 professionals who participate in the  
10 development of the model codes available for  
11 adoption at the state and local level. The  
12 cost to include this expertise and manage this  
13 process would be prohibitive for any single  
14 jurisdiction.

15           The I Codes are updated every three  
16 years. We are accepting code change proposals  
17 for our Group A Codes, which includes the  
18 International Building Code, or IBC, through  
19 January 3rd of 2012. And for our B Group  
20 Codes, which includes the International Fire  
21 Code, or IFC, through January 3rd, 2013.

22           Code change proposals, all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 interested organizations and stakeholders,  
2 including governmental agencies such as the  
3 Chemical Safety Board, are encouraged and  
4 welcome. Information about submitting code  
5 change proposals is available on our website.  
6 And staff can provide technical assistance to  
7 anyone unfamiliar with the process.

8 The ICC Board of Directors approved  
9 an emergency code change request from the  
10 Chemical Safety Board addressing safety  
11 concerns with flammable gas purging at its  
12 annual conference in 2010. The ICC has code  
13 action committees created to develop new code  
14 change proposals. And our Fire Code Action  
15 Committee is currently working to address  
16 recommendations from the Chemical Safety Board  
17 following the investigation of the Clean  
18 Energy Plant explosion caused by a practice  
19 called gas flows (phonetic).

20 As noted earlier and with regard to  
21 the Hoeganaes facility incident and the  
22 hazards associated with combustible dust, the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 IFC has always included safety requirements  
2 that address the known hazards of various  
3 types of combustible dust. We appreciate the  
4 Chemical Safety Board recommendations and the  
5 Hoeganaes facility investigation reported  
6 tonight to enhance requirements in the IFC  
7 related to preventing combustible dust fires  
8 and explosions like clearly requiring  
9 compliance with the applicable NFPA standards.

10 Based on the supplemental  
11 information in the IFC commentary, the  
12 requirement for enforcement of these  
13 appropriate NFPA standards is certainly the  
14 intent of the IFC and Chapter 22.

15 And just going off my written  
16 testimony, addressing a few comments, one of  
17 the things that greatly concerns me was the  
18 note on the investigative report that a fire  
19 department investigation inspection of the  
20 facility was conducted just prior to one of  
21 the incidents. And clearly the provisions in  
22 Chapter 22 dealing with combustible dusts are

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 something that should be part of an  
2 inspection.

3 And to that end, the IFC has 46  
4 operational permits. And those are intended  
5 to focus fire inspectors on known hazards  
6 association with operational processes or  
7 products, processes within the commercial  
8 environment. And one of those required  
9 operational permits is for combustible dust-  
10 producing operations. So that's clearly  
11 should be on the radar of all fire inspectors.  
12 And we try to encourage that by our training  
13 programs.

14 And then lastly just to address a  
15 comment from Board Member Griffon, the issue  
16 with retroactive requirements and  
17 grandfathering is always very sensitive. One  
18 of the things that we've done with the 2009  
19 addition of the IFC and it's continued to 2012  
20 is there's an especially designated chapter  
21 that's called Retroactive Construction  
22 Requirements.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           In the 2012 IFC that's Chapter 11  
2           that specifically deals with retroactive  
3           construction requirements that are imposed on  
4           buildings upon the adoption of the IFC  
5           intended to apply to all building without  
6           grandfathering. And that's a short chapter,  
7           but it addresses very specific known hazards  
8           dealing with fire and other safety issues for  
9           both first responders and the public that are  
10          clearly intended to be retroactive.

11           And possibly if there's concerns  
12          about the engineering practices that could be  
13          part of that chapter, that could be something  
14          else that the IFC Code Action Committee could  
15          look at for the next cycle.

16           So thank you for the opportunity to  
17          be here tonight and present comments on behalf  
18          of the International Code Council.

19           CHAIRPERSON   MOURE-ERASO:        Thank  
20          you, Mr. Johnson.

21           The next panelist is Mr. Guy  
22          Colonna from the National Fire Protection

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Association. Mr. Colonna.

2 MR. COLONNA: Good evening. Thank  
3 you, Mr. Chairman Eraso, CSB Board Members,  
4 CSB staff, members of the panel, ladies and  
5 gentlemen.

6 Again, I'm Guy Colonna, Division  
7 Manager of the National Fire Protection  
8 Association. And I've worked at NFPA for over  
9 25 years. I've responsibilities for the NFPA  
10 Industrial and Chemical Engineering Department  
11 and serve as Staff Liaison to several NFPA  
12 technical committees responsible for documents  
13 dealing specifically with hazard recognition,  
14 evaluation, and control in industrial  
15 facilities where combustible particulate  
16 solids, including combustible dust, are  
17 manufactured, handled, and stored.

18 NFPA appreciates this opportunity  
19 to participate in this hearing and to be able  
20 to highlight those NFPA codes, the standards  
21 related to dust hazard processes.

22 Before proceeding, I want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 express my sympathies to the families and  
2 colleagues of the victims from the incidents  
3 that occurred at the Hoeganaes plant earlier  
4 this year.

5 Let me provide a brief background  
6 of NFPA. Description of the relevant codes  
7 and standards that address dust hazard  
8 processes and conclude with a discussion of  
9 how these documents could be effective in  
10 identifying and controlling processes that  
11 store, handle, or use combustible dust or  
12 other combustible particulate solids.

13 NFPA is a non-profit membership  
14 organization that develops voluntary and  
15 consensus codes of standards that are adopted  
16 by state and local jurisdictions throughout  
17 the United States and the rest of the world.  
18 NFPA develops more than 300 codes and  
19 standards intended to minimize the possibility  
20 and effects of fire and other risks.

21 The NFPA codes and standards are  
22 developed through a process that is accredited

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 by the American National Standards Institute,  
2 ANSI, as a fair, open, and balanced consensus  
3 process. To develop our codes and standards,  
4 we convene more than 250 technical committees  
5 made up of about 5,000 individuals  
6 representing the stakeholders and diverse  
7 interest categories.

8 NFPA codes and standards provide a  
9 comprehensive set of requirements applicable  
10 to safety and the built environment. Many  
11 NFPA codes and standards appear as mandatory  
12 references cited in the federal regulations,  
13 such as the U.S. Department of Labor, OSHA,  
14 DOT, DHS, and EPA. All NFPA codes and  
15 standards meet the criteria mandated by  
16 Congress in Public Law 104113, the National  
17 Technology Transfer and Advancement Act.

18 As noted earlier by the CSB staff,  
19 many of the NFPA documents form the basis for  
20 treatment of the subject of combustible dust  
21 hazards within various model fire and building  
22 codes. Our fire code, NFPA-1 represents the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 most comprehensive means within the NFPA codes  
2 and standard system by which to address the  
3 storage, handling, and use of hazardous  
4 materials, whether liquids, gases, or solids.

5 As noted by the CSB staff in their  
6 report of findings, the International Fire  
7 Code published by the International Code  
8 Council also references the various NFPA  
9 standards applicable to combustible dust  
10 hazard processes within Chapter 22 and  
11 authorizes fire officials to enforce those.

12 NFPA currently develops nine  
13 specific documents that apply to dust hazard  
14 processes. Each addresses two hazards, the  
15 potential for fire due to the combustible  
16 nature of the particulate and a more  
17 devastating consequence resulting for the  
18 potential for the dust to form a dust cloud  
19 and to produce a combustible dust explosion.

20 Several documents apply to a  
21 specific dust type, such as agricultural food  
22 or grain, woodworking, coal, or combustible

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 metals. While some are more broadly  
2 constructed so that their application  
3 encompasses all dust and combustible  
4 particulate solids not otherwise addressed by  
5 a specific standard.

6 In the case that the iron dust  
7 fueled fires occurring at Hoeganaes on three  
8 instances during 2011, NFPA 484, the standard  
9 for combustible metals, is the most applicable  
10 standard. And this is the 2012 edition.

11 NFPA 484 addresses the hazards of  
12 combustible metals and like all the NFPA  
13 combustible dust standard establishes the  
14 basis for safety as a core set of  
15 requirements. First, control the formation  
16 for creation and the subsequent release of the  
17 dust. Second, identify and control all  
18 ignition sources. Third, where the explosion  
19 cannot be prevented, then protect the facility  
20 through construction and application of  
21 explosion prevention and protection measures  
22 so that the explosion pressures cannot spread

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 beyond the initial site of the explosion.

2 Tied closely to the first  
3 requirement is that of housekeeping. All  
4 these elements come together to create an  
5 effective fire and life safety plan when a  
6 plan is executed by a trained workforce. The  
7 need for trained workers cannot be overlooked.  
8 The hazards in an industrial workplace require  
9 constant attention by management and the  
10 workers to ensure that, if a plan is  
11 developed, that it is followed.

12 That is why all the combustible  
13 dust standards include safety management  
14 elements, hazard analysis or hazard  
15 assessment, management of change procedures,  
16 emergency plans, and training for employees as  
17 well as contractors and subcontractors.

18 The safety management elements are  
19 so important that in the recently published  
20 2012 edition of NFPA 484, such critical  
21 procedures as housekeeping, management of  
22 change, control of ignition sources, and

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 emergency preparedness are all retroactive.  
2 So no matter when compliance with NFPA 484 is  
3 established, these essential elements are  
4 always applicable.

5 Code enforcement rests with the  
6 authorities having jurisdiction. NFPA works  
7 with those jurisdictions adopting our  
8 documents to support their understanding and  
9 implementation. Over the past eight years,  
10 NFPA has on several occasions assisted various  
11 jurisdictions with specific training on  
12 application of the combustible dust standards.  
13 This is included in the Commonwealth of  
14 Kentucky with training of their inspectors on  
15 the provisions of NFPA 654 as well as training  
16 on all of dust standards for Georgia,  
17 Massachusetts, and Wisconsin.

18 We also provided funding for  
19 enforcing officials to assist them in their  
20 attendance at the 2010 NFPA Fire Protection  
21 Research Foundation Combustible Dust  
22 Symposium. The safe practices found in NFPA

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 484 as well as in the other NFPA standards for  
2 combustible dust reflect the current state of  
3 the art and the expertise of a broad  
4 contingent of industry, professional  
5 engineers, equipment manufacturers,  
6 researchers, and enforcers.

7 The challenge for us all is to  
8 effectively disseminate the information,  
9 provide training as needed, and to ensure  
10 consistent enforcement. NFPA is committed to  
11 assist where appropriate in these activities.  
12 NFPA has a history of working effectively with  
13 the CSB. NFPA also has a history of acting  
14 quickly to revise its codes or standards if  
15 warranted.

16 Most recently NFPA reacted to a CSB  
17 recommendation to address the unsafe practices  
18 of conducting gas flows to clean gas-fired  
19 power plant piping and developed a new  
20 standard in only five months once the new  
21 committee was appointed.

22 During the past 12 months, all the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 combustible dust standards have been in  
2 various stages of revision. You can monitor  
3 the work of our technical committees by going  
4 to our website. I am also available to  
5 provide any additional information you may  
6 need.

7 We offer our assistance to you in  
8 implementing the recommendations that are  
9 being developed. We encourage your continued  
10 input to our technical committees and the  
11 standards development process.

12 Thank you for your attention to  
13 this important matter. I look forward to  
14 comments and participation as we move forward  
15 from this meeting to ensure the safety of all  
16 who work in these vital industries.

17 Thank you, Mr. Chairman.

18 CHAIRPERSON MOURE-ERASO: Thank  
19 you, Mr. Colonna. The next panelist is Ms.  
20 Chris Sherburne that is the widow of Mr. Wiley  
21 Sherburne that died in one of the incidents in  
22 Hoeganaes.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I would like to especially  
2 recognize the five that you are here. We know  
3 about the pain and difficulty that is to  
4 relive this terrible moments of the death of  
5 your your husband. And we really thank you  
6 for your assistant and for your willingness to  
7 address us and to talk to us about this.

8 So, Ms. Sherburne.

9 MS. SHERBURNE: I've been asked to  
10 explain how our lives have been affected by  
11 this. I don't know that you can actually do  
12 that. Everything was changed that morning.  
13 We carried him back to the hospital. The  
14 first thing the doctors told us walking in the  
15 door was that he was burned on 95 percent of  
16 his body and we don't think he's going to make  
17 it. There's nothing you can say to that.  
18 You don't say anything.

19 What you do those days after is  
20 sort of float through it. You don't know what  
21 you're doing. You've got to live your life a  
22 whole new way. Everything is changed.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 There's no normal. Your normal is gone. And  
2 you just go day-to- day.

3 With so many children involved in  
4 these -- operate two big incidents, every day  
5 there's something that they say or something  
6 that they do that it's heartbreaking. And  
7 there's no answers for the questions that they  
8 say, they ask or the statements that they  
9 make.

10 I think Cody and I have got to the  
11 point to where we're past the floating-through  
12 stage and working toward finding our new  
13 normal. It's a hard thing to do. And I wish  
14 I could explain it. Unless you are where we  
15 all are, you never understand.

16 I appreciate everything that the  
17 CSB has done, their diligence. Getting these  
18 hopefully regulated so nobody is where we are.  
19 I really appreciate that. I appreciate John  
20 Bresland. He's very nice and very caring.  
21 And it's really made a difference. It's been  
22 very helpful. And I appreciate all you all

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 being here.

2 CHAIRPERSON MOURE-ERASO: Thank you  
3 very much, Ms. Sherburne.

4 I would like now to open the floor  
5 for questions for the Board members from the  
6 public.

7 MR. GRIFFON: I think first I need  
8 to say thank you to Chris for coming to the  
9 panel. I mean this is why we're all here and  
10 this is the importance of it. And it  
11 certainly reminds us -- if we could ever  
12 forget, it certainly reminds us that it's  
13 human beings and not numbers. And this is why  
14 we do our job and this is why the team took  
15 such painstaking work in doing our  
16 investigation, so we also hope we can make a  
17 difference and save others from these  
18 tragedies. So thank you for participating in  
19 the panel.

20 I think that was important to say  
21 before I get to these sort of techy questions  
22 and much very serious situation.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 I do have a couple of questions for  
2 Guy on the NFPA. Some of them you might have  
3 heard from the last panel. And I know that  
4 it's also we're running quite overtime. So I  
5 probably will ask just one or two here.

6 But I was curious, following up  
7 from the last panel, does the NFPA require  
8 different controls for different  
9 classifications of dust? And I guess I raise  
10 that in the context of some comments from the  
11 last panel where they pointed out -- and our  
12 experience also at the CSB -- that these quote  
13 "weak" dust resulted in some catastrophic  
14 accidents and loss of life. So I just  
15 wondered how the NFPA deals with the  
16 classifications, whether it's different sort  
17 of controls for different classifications of  
18 dust?

19 MR. COLONNA: Mr. Griffon, the  
20 simple answer is no. The standards are based  
21 on a certain -- using for example the ST1,  
22 ST2, and ST3 classifications. And that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 dictates that you do more or less. That  
2 doesn't exist in any of the five dust -- the  
3 five primary dust standards.

4 Where that type of strategy could  
5 be employed is where all those standards have  
6 requirements for doing a hazard assessment or  
7 hazard analysis. And based on that hazard  
8 analysis, my conclusions may be that I am  
9 dealing with a dust that is less of the  
10 explosibility problem and more of the flash  
11 fire problem. That may guide me to implement  
12 different control measures based on that  
13 conclusion. But to actually be driven by such  
14 a classification scheme, that one or some  
15 other one, it would be derived, that doesn't  
16 exist.

17 And another thing again from again  
18 reacting to comments from several on the  
19 previous panel about the whole concept of the  
20 qualitative words that are put to those three  
21 classifications and answering questions as  
22 advisory service for staff of the people that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 are using our codes and standards, one of the  
2 common ones I get is asking whether there is a  
3 threshold such as below 50 bar meters a second  
4 for Kst that I don't have to do anything.

5 And that demonstrates still a lack  
6 of understanding and it's the answer or the  
7 concept that John Cholin provided in  
8 describing the different phenomenological  
9 behaviors of the lower Kst dust versus the  
10 higher Kst dust. It's all relative because  
11 we're taking about milliseconds worth of time  
12 over which this combustion process is  
13 occurring.

14 And the low Kst dusts are just  
15 driving at pressure to reach the confinement  
16 of the vessel or the building at a slower  
17 speed relative to the millisecond speeds that  
18 affect the higher Kst values. They're still  
19 going to hit the walls of that facility or the  
20 structure of that enclosure. And when they  
21 reach it and they're going to exert that  
22 pressure, they're going to burst that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 container.

2 So it's always interesting that  
3 people are looking for that kind of a  
4 threshold. I liken it to kind of the  
5 flammable liquids behavior where we know that  
6 100 percent of the LFL or the LEL means I have  
7 now achieved the right fuel air mixture. And  
8 so we've established a safeguard 10 percent in  
9 a lot of applications or maybe 20 percent in  
10 some industrial facilities. That doesn't  
11 exist for the combustible process that way.

12 MR. GRIFFON: Thank you. And just  
13 to clarify for me, I've heard some comments  
14 that some are asking. And this is sort of an  
15 OSHA rulemaking process that for these lowly -  
16 - quote unquote -- for these lowly combustible  
17 metal dusts that provisions and NFPA 654 might  
18 be more applicable than NFPA 484 even though  
19 484 is the metal dust standard. And it leads  
20 me to believe that those are lower controls.

21 Maybe I'm misunderstanding. But if  
22 you can clarify that and shed some light on

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 that.

2 MR. CLONNA: Actually the -- with  
3 the 2012 changes in 484, some of the changes  
4 that have been implemented are starting to  
5 line up more with, at least in the management  
6 system, requirements that 654 has. And 484  
7 doesn't have a layer thickness threshold which  
8 implies that any accumulation of the  
9 combustible metals triggers some kind of  
10 behavior. I.e, you need to control your  
11 process. You need to establish housekeeping  
12 to determine what the rate is and maybe  
13 implement other controls.

14 The problem for metals is not only  
15 their combustion but also their reactivity and  
16 also, as Dr. Zalosh pointed out, the intense  
17 temperatures at which the combustion occurs  
18 once you get the individual particle and once  
19 you initiate that combustion.

20 But in terms of stating that you  
21 can go to one standard versus the other  
22 because one may be viewed as less rigorous, I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 don't believe that that's the intent of what's  
2 going on.

3 MR. GRIFFON: But your opinion on  
4 this question of accumulation, you would think  
5 that for the iron dust that we've had in this  
6 situation, you'd think that a more rigorous  
7 standard would be applicable on OSHA to  
8 consider that? Is that your opinion?

9 MR. COLONNA: I think again as  
10 John Cholin pointed out, it doesn't really  
11 matter what layer of thickness exists in any  
12 of our dust standards, all of the incidents  
13 you've investigated or OSHA has reported or  
14 any of the insurance companies have reported  
15 over the last 25 years haven't been anywhere  
16 near whatever those layer thickness threshold  
17 should be. They have been well in excess of  
18 that.

19 So we don't really know how valid  
20 those layer thicknesses are other than the  
21 research that led to suggest that the types of  
22 dust that 654 deals with which are the

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 chemical and plastics as little as one-thirty-  
2 second of an inch over as little as five  
3 percent of a facility can get -- if able to be  
4 lofted and suspended concentrated and find an  
5 ignition source will yield a significant  
6 propagation of a combustion and result in an  
7 explosion.

8 MR. GRIFFON: And last question  
9 cause it is getting late, the last panel it  
10 was mentioned that this ASTM E1550 with the  
11 Pmax testing, is that referenced in 484 --

12 MR. COLLONA: Yeah.

13 MR. GRIFFON: -- for the  
14 combustibility testing?

15 MR. COLLONA: That again is for the  
16 MEC concentration. So where the MEC is  
17 referenced in 484 or any of the dust  
18 standards, ASTM E1550 is the test standard to  
19 which you would determine the MEC  
20 concentrations. And, therefore, as Dr.  
21 Amyotte was relating, that's also where you  
22 get that Pmax opportunity.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 MR. GRIFFON: Thank you, Professor.

2 CHAIRPERSON MOURE-ERASO: Mr.  
3 Bresland.

4 MR. BRESLAND: Thank you, Mr.  
5 Chairman. I'd also like to express my  
6 sympathy to Ms. Sherburne. You did say  
7 something that really struck me, and I wrote  
8 it down -- the issue that you're going through  
9 and the fact that you have to find a new  
10 normal in your life. That was a very poignant  
11 thing to say. And certainly I hope that  
12 you're able to find that normal and move on  
13 with your life.

14 Question for Mr. Johnson, the  
15 subject has been discussed this evening of the  
16 inspection by the Gallatin Fire Department  
17 about noticing it. You're someone who has a  
18 lot of experience with fire departments.  
19 You've been a fire fighter yourself according  
20 to your -- if you go into a particular fire  
21 department -- I'm not talking about  
22 Philadelphia or New York City, but go into a

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 smaller fire department than say in Gallatin  
2 or some small town where it might be a  
3 volunteer fire department, how much would the  
4 fire fighters know there about NFPA codes,  
5 about ICC codes, about dust codes? Is it --  
6 are they more concerned about the sort of the  
7 more concrete issues of putting fire out?

8 MR. JOHNSON: I think that's a  
9 great question. And certainly there is a wide  
10 disparity when we see that. And as Guy had  
11 mentioned, one of the challenges that we had  
12 is trying to get good training out there so  
13 that there's an understanding and consistent  
14 application of codes and standards across the  
15 country.

16 But I think to that end, I would  
17 suggest a couple of things. A simple  
18 checklist to go in if that's maybe facility  
19 driven so when you're looking at a certain  
20 type of occupancy classification with known  
21 hazards, a simple checklist I think is a great  
22 tool to be looking for fire code violations or

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 the things that are addressed in the fire code  
2 and to draw your attention to those.

3 But I think more intuitively -- I  
4 do a lot of training of firefighters at all  
5 levels. And I think that a firefighter that's  
6 been on the job for a while where they may  
7 really shy away from codes and code  
8 enforcement because it's not a sexy part of  
9 what firefighters do. But intuitively if  
10 something looked like it's a problem, I think  
11 firefighters can recognize that. Where I  
12 think they're more reluctant is to say, oh,  
13 I'm not exactly sure where the code is where I  
14 find that section, how I cite it. So I might  
15 shy away from it. But I think they  
16 intuitively can recognize those hazards. And  
17 that's what the inspection really should be  
18 focused on.

19 MR. GRIFFON: Thank you.

20 CHAIRPERSON MOURE-ERASO: One last  
21 question to Ms. Chris Sherburne. I wonder if  
22 you can recall for us -- I understand that

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 your husband has expressed concerns about the  
2 working conditions in relations to the dust in  
3 the factory. And I wonder if you can recall  
4 for us what was he described the situation to  
5 you?

6 MS. SHERBURNE: One of the things  
7 he talked about in all the electrical boxes,  
8 there was always powder in it. There would be  
9 arcing where you're walking out through the  
10 plant itself. And any electrical box they  
11 opened, powder would be in it, always.

12 CHAIRPERSON MOURE-ERASO: Thank  
13 you. And is any questions that you have?  
14 Yes.

15 MR. BANKS: Well, I'd like to thank  
16 all the panelists this evening for taking time  
17 to participate in this, but especially to Ms.  
18 Sherburne. You were a vision of courage and  
19 strength tonight. And I think you represented  
20 all the families. You were voice for those  
21 who didn't have the strength or the  
22 willingness to speak. And I just want to

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 thank you for your unfailing support of our  
2 efforts from the very outset.

3 As I shared with you, we meet folks  
4 under very trying conditions. And there's a  
5 spirit within you that has kept all of us  
6 going. And I just want to take this  
7 opportunity to thank you for everything that  
8 you've done for us to investigate, understand  
9 what happened here. And as I shared with you  
10 last night, I hope that you find some value  
11 for having participated in this process.

12 And as Board Member Bresland  
13 shared, the very notion of embarking on a  
14 journey of establishing a new normal is  
15 something that I think that few people on this  
16 planet can understand. And I really  
17 appreciate your being open to share that with  
18 us so that we can all go back and reconsider  
19 how we live our lives and the challenges that  
20 you're facing and help us to do our job that  
21 much more diligently and be that much more  
22 committed. So thank you.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 CHAIRPERSON MOURE-ERASO: I would  
2 like to thank the panel. And we will continue  
3 with the rest of the program. Thank you very  
4 much.

5 The next item on the agenda is  
6 public comments from the people that's  
7 accompanying us here. I have a list of the  
8 people that would like to address things -- to  
9 address some things to this meeting. The  
10 first person that I have is Ms. Anna Fendley,  
11 a health and environment technician from the  
12 United Steelworkers from Pittsburg,  
13 Pennsylvania. So I would like to ask Ms.  
14 Fendley if she would step up. It was her  
15 statement. Go ahead.

16 MS. FENDLEY: Good evening. Again,  
17 my name is Anna  
18 Finley. I'm here representing the leadership  
19 and the 850,000 members of the United  
20 Steelworkers. I first want to offer our  
21 condolences to the workers and the families  
22 and their friends who are affected here. I

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 also want to thank everyone at the Chemical  
2 Safety Board for their work.

3 A few years ago, the Steelworkers  
4 supported the CSB's recommendation to OSHA for  
5 a combustible dust standard. And I am here  
6 again to offer our support for a  
7 recommendation to OSHA to finish their  
8 combustible dust standard. We have many  
9 members who work in facilities with  
10 combustible dust hazards.

11 In fact just a little earlier  
12 today, there was an explosion at a facility in  
13 Nevada. Two of our members were seriously  
14 burned and are in the hospital in medically  
15 induced comas. Based on the initial  
16 information we have, we believe it was a  
17 combustible dust explosion.

18 That example from today and the  
19 three incidents that we're discussing here are  
20 just a few examples of the types of  
21 devastation that can occur after these  
22 incidents. We believe that the existing

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 system of NFPA code implementation and  
2 enforcement do not provide adequate worker  
3 protection.

4 We also believe that OSHA's  
5 national emphasis program in the use of  
6 housekeeping and -- standards are not  
7 sufficient. And because there is no OSHA  
8 standard, OSHA inspectors are not even  
9 adequately trained to recognize combustible  
10 dust hazards.

11 In our experience only some  
12 employers are sufficiently addressing  
13 combustible dust. And equally importantly  
14 workers on the shop floor are not trained to  
15 recognize combustible dust hazards and where  
16 they don't feel like they can report them to  
17 management to have them addressed.

18 We've seen that when there is a  
19 federal OSHA standard for a hazard, employers  
20 and employees go to great lengths to  
21 understand the hazard and the requirements and  
22 resources are actually put into

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 achieving compliance. Without a combustible  
2 dust standard, many employers will not and are  
3 not committing the resources needed.

4 An OSHA standard would save  
5 workers' lives and protect jobs. The local  
6 economy in Port Wentworth, Georgia, slumped  
7 after the explosion at Imperial Sugar because  
8 the plant did not run for several months. It  
9 had to be demolished and rebuilt. The same  
10 thing happened after the West Pharmaceuticals  
11 facility explosion in 2003 in Kingston, North  
12 Carolina.

13 Many of the country's industrial  
14 workplaces and our members are in small towns  
15 where these facilities are the primary  
16 employer. And an OSHA standard would save  
17 those towns the devastation of the loss of  
18 life and the loss of income that occurs after  
19 a major incident.

20 As a key stakeholder on this issue,  
21 we sincerely hope that the CSB agrees that  
22 combustible dust is a critical issue for

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 worker safety. And we again support a  
2 recommendation to OSHA for a standard. Thank  
3 you.

4 CHAIRPERSON MOURE-ERASO: Thank  
5 you. Thank you very much, Ms. Fendley. I  
6 think you were especially eloquent on what is  
7 the meaning of a federal standard and what  
8 good could it do, especially around the  
9 country where, you know, in small facilities  
10 like the ones we are here dealing with in  
11 Hoeganaes.

12 The second person I have on my list  
13 is Mr. John Morawetz. John Morawetz is  
14 representing the International Chemical  
15 Workers Union Council and is also representing  
16 the United Food and Commercial Workers. He  
17 comes from Cincinnati, Ohio. And we really  
18 appreciate him coming here to talk to us.

19 Mr. Morawetz.

20 MR. MORAWETZ: Thank you, Mr.  
21 Chairman. Again condolences to the whole  
22 community here.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           There are various estimates how  
2 many people die on the job. It ranges in the  
3 thousands. It means that every working day  
4 10, 15 workers leave their families in the  
5 morning don't come home. And it's from well-  
6 known hazards like you're here today. It's  
7 unacceptable. It shouldn't happen.

8           Part of that is clearly a  
9 combustible dust standard. The Board has done  
10 admirable work from the 2003 explosions and  
11 your 2006 report summarizing many accidents of  
12 the same kind. OSHA has begun that process,  
13 but it's bogged down. Exactly why it's hard  
14 to say. But they should move it forward.  
15 There's a step to the Small Business  
16 Administration that's publishing the standard.

17           We support you in your  
18 recommendations that you've added, that you  
19 have included in this report. And OSHA  
20 basically needs to get moving on that.

21           OSHA, I should say, is a very  
22 scientific process. It's an open process.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 It's a political process. It takes much too  
2 long. I wish it were shorter. But in  
3 particular, it should not be longer.

4 And there are rules afoot in  
5 Washington, D.C. that would basically say that  
6 it's going to be harder. There are moves  
7 afoot to actually tell OSHA in their budget  
8 that they can't spend money on standards like  
9 combustible dust. And those moves aren't  
10 acceptable and you should be aware of them.

11 There are moves that would  
12 basically make it a very political process  
13 that would say that Congress would have to  
14 vote on certain standards that OSHA sets  
15 forward. And again this process of OSHA has,  
16 not the CSB, is a process that I think is very  
17 time consuming. It's -- I don't really quite  
18 say it's a fair process. But at least at this  
19 point it should not be a longer process with  
20 more complicated review by Congress.

21 Before I worked for the Chemical  
22 Workers, I worked for the Molders Union. We

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 investigated two fatalities, or I did  
2 personally. It was back in the '80s, a  
3 confined space fatality at a facility that  
4 actually had five fatalities of different  
5 causes over 20 years.

6 And one question you may want to  
7 look in the final report is this series of  
8 events. And again I don't see the full report  
9 where you have the -- you've got the New  
10 Jersey incident. You had the test a couple of  
11 years ago of explosibility.

12 Then you had the January incident.  
13 And I'm wondering what happened from January  
14 to March to May to the other two incidents?  
15 Clearly it was very clear at this facility  
16 something was wrong and something should have  
17 been done.

18 I'd also just close it, two other  
19 points that have come up in this discussion.  
20 One is you talk about training in  
21 Recommendation Slide No. 6. And there's one  
22 other slide about recommendations in terms of

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 dust.

2 In my day job we do a lot of  
3 trading for the consortium of unions. And as  
4 much as I believe in training, in and of  
5 itself, it's not the only part of the puzzle.  
6 You need a comprehensive safety health  
7 program. Many speakers and Board members and  
8 staff have mentioned it. And I think that  
9 should be reflected in the recommendations.

10 And the other one is not I'm an  
11 explosive expert, but the bottom line in all  
12 these tests are, as some few people on the  
13 panel have mentioned, are much more worried  
14 about the false negatives than the false  
15 positives. And if there's any example of  
16 which test we should use, you have the clear  
17 example of what happened at this facility.  
18 And that to me says everything. The tests  
19 don't dictate what we should do. It's  
20 incidents like this that tells what we should  
21 move forward on. Okay, thank you all for your  
22 time.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   CHAIRPERSON   MOURE-ERASO:        Thank  
2   you.  Thank you, Mr. Morawetz.

3                   Is there any other members of the  
4   group here on the following that would like to  
5   make a statement?

6                   Hearing none, I would like to thank  
7   Ms. Fendley and Mr. Morawetz for their  
8   statements.

9                   Again I would also like to thank  
10  very, very deeply the panelists for their  
11  participation.  And also to the Board members  
12  here and the Investigative Team that have done  
13  such a thorough work to address this tragedy.

14                  All of us share a strong interest  
15  in preventing these tragic explosions from  
16  occurring.  Our hope is to make sure that  
17  workers, that the community, and the American  
18  civil response personnel are not forced to  
19  experience an incident similar to this one.

20                  After returning to D.C., we will  
21  revise the report with consideration of the  
22  comments for today's meeting.  The Board will

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vote on a final product and it will be  
2 released to the public.

3 I would like to thank all of  
4 today's participants, especially the hearing  
5 panelists as well as the audience for your  
6 attention.

7 With that, I would like to  
8 introduce the Managing Director, Dr. Daniel  
9 Horowitz, who will be facilitating the next  
10 portion of this meeting.

11 Dr. Horowitz.

12 DR. HOROWITZ: Thank you, Dr.  
13 Moure. There are a few routine business items  
14 to attend to prior to adjournment. And these  
15 are calendared voting items from the past  
16 several months. The Board is a commission  
17 under the Government in the Sunshine Act and  
18 is obliged to transact a certain amount of  
19 business in public.

20 The first item of business is  
21 Notation Item 823. This vote relates to  
22 various previous CSB safety recommendations

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 from the Board's investigation of the dust  
2 explosion at the Imperial Sugar Company in  
3 February 2008 in Georgia. And as we heard  
4 earlier, this explosion had a catastrophic  
5 impact, fatally injuring 14 employees in the  
6 dust explosion.

7 The CSB investigation determined  
8 that the plant had large accumulations of  
9 sugar dust throughout the plant and on  
10 elevated surfaces. Those accumulations were  
11 plainly visible in pre-incident photographs  
12 and were inches deep.

13 CSB investigators further  
14 determined that Imperial Sugar had insured the  
15 facility with the Zurich Services Corporation,  
16 a major risk insurer. Insurance auditors from  
17 Zurich had inspected the plant during the year  
18 prior to the fatal blast but failed to note  
19 the combustible dust hazard or recommend  
20 changes to Imperial's operations. The  
21 combustibility hazard of sugar dust had been  
22 known in industry for many decades.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           In response the CSB's final report  
2           in September 2009 recommended that Zurich  
3           train all its risk engineers who regularly  
4           audit industrial facilities to recognize  
5           combustible dust hazards. The Board also  
6           recommended that Zurich provide dust awareness  
7           materials to its client companies.

8           Zurich has generally concurred with  
9           the recommendation; however, it has declined  
10          to provide any supporting materials to  
11          demonstrate the adequacy of these efforts.  
12          Zurich has asserted that the materials in  
13          question are all proprietary.

14          CSB staff have explained that they  
15          routinely handle such proprietary materials  
16          during their investigations and that genuinely  
17          proprietary materials enjoy protection under  
18          law from unwarranted public disclosure.

19          To date, however, these efforts by  
20          the CBS staff to obtain proof of the  
21          implementation of the recommendations have  
22          been fruitless.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1                   In December 2010, the CSB staff  
2 recommended that the Board designate the  
3 recommendation status as open, unacceptable  
4 based on Zurich's failure to provide the  
5 requested documentation. That recommendation  
6 was voted on by the Board. But in January it  
7 was calendared by then Board member William  
8 Wright whose term expired on September 22nd.

9                   The item remains ripe for  
10 consideration by the Board and the CSB staff  
11 continue to recommend that the Board designate  
12 the recommendation as open, unacceptable and  
13 communicate once again to Zurich the  
14 importance of providing supporting  
15 documentation as many hundreds of other  
16 recommendation recipients have regularly done.  
17 The full text of the staff recommendation is  
18 contained in the Board members' briefing  
19 books.

20                   Thank you, Mr. Chairman.

21                   CHAIRPERSON MOURE-ERASO:       Thank  
22 you, Dr. Horowitz.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1                   And are there any questions from  
2 the members for the staff in relation to this  
3 matter?

4                   MR. BRESLAND:   Where would I find  
5 this in the briefing book?

6                   DR. HOROWITZ:   It is Notation Item  
7 823.

8                   MR. BRESLAND:   Where is the voting  
9 document on this?

10                  DR. HOROWITZ:   Let me ask one of  
11 the staff members to -- Mr. Bresland, the  
12 voting matter is the same vote, No. 823, that  
13 was considered by the Board in December. And  
14 this is to designate the recommendation as  
15 open, unacceptable, and seek further  
16 information from Zurich.

17                  CHAIRPERSON MOURE-ERASO:   Any other  
18 questions?

19                  MR. BRESLAND:   Sorry, Mr. Chairman,  
20 we're just -- it may have been omitted from  
21 Member Bresland's book. We're just looking  
22 for it. Oh, it may not have been. Maybe I'm

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 not looking at the right place.

2 I just want to make a comment here  
3 before we get into the vote on this. It's  
4 that normally we get or we're supposed to get  
5 a two-week notice on voting items like this.  
6 I received this on Monday evening at 7:00  
7 o'clock, a two-day notice. So it doesn't give  
8 us a lot of time to consider them. I'd  
9 certainly appreciate if we're doing this in  
10 the future that we get the appropriate and  
11 correct amount of notice in advance or for  
12 votes like this.

13 DR. HOROWITZ: Sure, we'll  
14 certainly oblige, Mr. Bresland. I would note  
15 it was actually in the federal register notice  
16 as one of the items.

17 CHAIRPERSON MOURE-ERASO: Any other  
18 comments or discussion. So let me reiterate  
19 that a vote on this Item No. 823 is a vote to  
20 designate the recommendation to Zurich  
21 Services, which is the recommendation 2008-05-  
22 I-GA-10 as open, unacceptable.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS  
1323 RHODE ISLAND AVE., N.W.  
WASHINGTON, D.C. 20005-3701

1                   As the Chairman, I concur with this  
2 staff recommendation and I recommend a yes  
3 vote on this item. I order a recorded vote  
4 and I would like to proceed with it.

5                   Mr. Griffon?

6                   MR. GRIFFON: I vote yes.

7                   CHAIRPERSON MOURE-ERASO: Mr.  
8 Bresland?

9                   MR. BRESLAND: I vote yes.

10                  CHAIRPERSON MOURE-ERASO: And as I  
11 said, I vote yes. So Item No. 823 is  
12 approved.

13                  Dr. Horowitz will continue with the  
14 next item of business.

15                  DR. HOROWITZ: Yes, sir, Mr.  
16 Chairman, very briefly another calendared item  
17 since the last public meeting was to designate  
18 the recommendation to OSHA on banning gas  
19 explosives open, unacceptable. Staff have  
20 since modified the recommendation to the Board  
21 and suggested a further letter to OSHA  
22 Secretary Michaels asking for clarification

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 whether OSHA intends to proceed with any  
2 rulemaking. And that letter was sent, as you  
3 know, under your signature on Monday. So  
4 staff does not recommend a vote on that matter  
5 tonight.

6 In addition, notation items No.  
7 826, 826(a), and 845 were all calendared by  
8 former Member Wright before his term expired.  
9 These relate to the budget and action plan for  
10 2011. These items appear to be moot.

11 The next item that is ripe for  
12 consideration is Item No. 836 which proposed  
13 for Board approval a CSB Human Capital Plan.  
14 This item was circulated for a vote in March  
15 and was calendared by former Member Wright.  
16 Developing such a plan is a requirement of the  
17 Federal Office of Personnel Management, or  
18 OPM. It was also recommended as an  
19 improvement by the Office of the Inspector  
20 General.

21 CSB's plan is included in the Board  
22 members' briefing books and was previously

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1       circulated to the Board members a number of  
2       months ago. It was developed by a combination  
3       of CSB staff members and external experts over  
4       a period of months. It was reviewed  
5       independently by OPM and adjudged to be  
6       excellent. It's also been reviewed, as I  
7       mentioned, with the Board and any comments  
8       have been addressed. Staff recommends  
9       approval of the plan, Mr. Chairman.

10                   CHAIRPERSON MOURE-ERASO:       Thank  
11       you, Dr. Horowitz. And I ask are there any  
12       questions from the Board in relation to this  
13       item?

14                   MR. GRIFFON:   No.

15                   CHAIRPERSON MOURE-ERASO:   As there  
16       are no questions, let me reiterate that the  
17       Item No. 836 is a vote to approve the Human  
18       Capital Plan as originally presented. As the  
19       Chairman, I concur with the staff  
20       recommendation and I recommend a yes vote of  
21       this item. I order a recorded vote.

22                   Mr. Griffon?

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)



1 MR. GRIFFON: I vote yes.

2 CHAIRPERSON MOURE-ERASO: Mr.

3 Bresland?

4 MR. BRESLAND: I vote yes.

5 CHAIRPERSON MOURE-ERASO: Item No.

6 836 is approved.

7 Dr. Horowitz, what is the next item  
8 of business?

9 DR. HOROWITZ: Mr. Chairman, you  
10 may want to state your vote also for the  
11 record.

12 CHAIRPERSON MOURE-ERASO: For the  
13 record my vote is yes.

14 DR. HOROWITZ: Mr. Chairman, the  
15 next and final item of business is Notation  
16 Item No. 829. This was proposed in February  
17 2011 by then Board Member William Wark and was  
18 calendared by the Chairman and Board Member  
19 Griffon. He had proposed an amendment to  
20 Board Order 28 Executive and Administrative  
21 Functions of the Board. Specifically the  
22 amendment would purportedly block certain

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 personnel moves pending the completion of the  
2 Human Capital Plan which the Board has just  
3 done and would otherwise have sought to shift  
4 certain personnel authorities from the  
5 Chairman to the Board as a whole.

6 Mr. Chairman, the staff has not  
7 formally analyzed the proposed amendment in  
8 light of various federal statutes reposing  
9 personnel authority in the head of the agency.  
10 The staff notes, however, that the item is now  
11 moot at least in part since the Board has just  
12 voted to approve the agency's Human Capital  
13 Plan. Mr. Wark's term expired in September,  
14 so he's not here to explain the proposed  
15 amendment.

16 Mr. Chairman?

17 CHAIRPERSON MOURE-ERASO: Thank  
18 you, Dr. Horowitz. Are there any questions of  
19 members for the staff on this item?

20 MR. BRESLAND: Are we voting on the  
21 829? Are we not voting on?

22 CHAIRPERSON MOURE-ERASO: Yes, we

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 are. That's what we are doing. Yes.

2 MR. BRESLAND: I thought Daniel  
3 just said it was moot.

4 CHAIRPERSON MOURE-ERASO: Parts of  
5 it, parts of it.

6 DR. HOROWITZ: Member Bresland,  
7 part of 829 is contingent -- or the purported  
8 restrictions were contingent -- on approval of  
9 a Human Capital Plan. So that section of 829  
10 would be moot.

11 MR. BRESLAND: Well, I certainly  
12 have a serious comment on this one. I think  
13 this particular vote was probably one of the  
14 more controversial votes in the history of the  
15 Chemical Safety Board. As you said, it was  
16 calendared.

17 And the reason this vote came up  
18 historically was it had to do with the hiring  
19 of a particular person at the Chemical Safety  
20 Board. But the Board felt -- the Board as a  
21 whole felt that they had the authority to vote  
22 on. That was the reason for this particular

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vote.

2 As you recall it was -- you  
3 calendared it 829 or Chairman Moure calendared  
4 it, 829. It was followed immediately by vote  
5 829(a), which was approved by the Board by a  
6 vote of either three to zero or three to two,  
7 I don't remember which. That vote for  
8 whatever reason has not appeared on our  
9 website.

10 But the Chair after a vote was  
11 taken didn't get -- went outside and got a  
12 legal opinion which according to the opinion  
13 negated that particular vote.

14 I don't have any opinion. I don't  
15 have any thoughts on the validity of that  
16 opinion. But since then that whole issue was  
17 turned into a series of complaints to the  
18 Inspector General and to the office of Special  
19 Counsel in Washington.

20 And my feeling is that rather than  
21 vote on this now, we should wait until those  
22 issues are resolved by the Inspector General

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 and by the Office of Special Counsel because I  
2 think they are very serious issues that  
3 deserve serious consideration by those  
4 entities.

5 CHAIRPERSON MOURE-ERASO: Your  
6 comments are noted and the original comments.

7 Mr. Griffon?

8 MR. GRIFFON: I plan to vote no on  
9 this item. But with the understanding that  
10 basically my goal out of this is to return to  
11 the provisions as outlined in Board Order 28  
12 for the Board governance. Order 28 amended on  
13 August 8, 2006. So I think that's my main  
14 goal in a no vote on this item.

15 CHAIRPERSON MOURE-ERASO: As Dr.  
16 Horowitz pointed out, this is my comment, you  
17 know, Item No. 829, I agree with Mr. Bresland  
18 is problematic. Those provisions that appear  
19 in 829 would have restricted the personnel  
20 authority of the Chairman in ways I believe  
21 could seriously impact the productivity of the  
22 agency.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1           Any staff organization like the CSB  
2 needs to have clear lines of accountability  
3 and authority. Ultimately the Board controls  
4 the substantive work of the agency, including  
5 the reports, the studies and other policies.  
6 As Chairman, I wouldn't have it any other way.  
7 And I consider the Board members' inputs to be  
8 indispensable.

9           But on the way to producing those  
10 critical safety products that we hope meet the  
11 high standards of the Board, there needs to be  
12 staff accountability and every staff member in  
13 the agency needs to have just one boss. Put  
14 simply, we cannot have a professional staff  
15 that answers to five masters on a daily basis.

16           That has been the governing theory  
17 here since at least 2002 when the late Carolyn  
18 Merritt was appointed as the Agency Chair and  
19 continuing during Member Bresland's  
20 distinguished tenure as well, as Board  
21 Chairman from the 2008 to 2010.

22           For those reasons, I recommend a no

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1 vote on Item 829. A no vote is to disapprove  
2 the amendments proposed by former Member Wark  
3 and to leave Board Order 28 in its current  
4 form as adopted on August 8, 2006.

5 Is there any more discussion about  
6 this issue?

7 Hearing no discussion, let me  
8 reiterate that a no vote on Item 829 is a vote  
9 to disapprove the item. On this item, I order  
10 a recorded vote.

11 Mr. Griffon?

12 MR. GRIFFON: I vote no.

13 CHAIRPERSON MOURE-ERASO: Mr.  
14 Bresland?

15 MR. BRESLAND: I vote yes.

16 CHAIRPERSON MOURE-ERASO: And I  
17 vote no. Thank you. Item No. 829 is  
18 disapproved and Board Order 28 stands as  
19 adopted by the Board on August 8, 2006.

20 I thank the audience for your  
21 attendance this evening. And this meeting  
22 stands adjourned.

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)

1  
2  
3  
4  
5  
6  
7

(Whereupon, this meeting was  
adjourned at 9:40 p.m.)

**NEAL R. GROSS**

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

[www.nealrgross.com](http://www.nealrgross.com)