

UNITED STATES OF AMERICA

+ + + + +

CHEMICAL SAFETY AND HAZARD
INVESTIGATION BOARD

+ + + + +

PUBLIC UPDATE

+ + + + +

WENDESDAY

JUNE 18, 2003

+ + + + +

KINSTON, NORTH CAROLINA

+ + + + +

7:00 p.m.

+ + + + +

PRESENT:

CAROLYN MERRITT, CHAIRMAN

ANDREA K. TAYLOR, BOARD MEMBER

CHRIS WARNER, GENERAL COUNSEL

STEVE SELK, LEAD INVESTIGATOR

JOHNNIE BANKS, INVESTIGATOR

ANGELA BLAIR, INVESTIGATOR

LISA LONG, INVESTIGATOR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

Opening and Introduction 3

Opening Comments 6

Presentations

 Steven Selk 7

 Lisa Long 10

 Angela Blair 14

 Johnnie Banks 20

 Jim Dahn 34

Public Comment 41

Adjourn 52

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

P-R-O-C-E-E-D-I-N-G-S

1
2 CHAIRMAN CAROLYN MERRITT: Good evening
3 and welcome. This is a community meeting of the U.S.
4 Chemical Safety and Hazard Investigation Board, the
5 CSB. My name is Carolyn Merritt and I'm chairman and
6 CEO of the U.S. Chemical Safety Board. With me this
7 evening are board member Andrea -- Dr. Andrea
8 Kidd-Taylor; our chief operating officer Charles
9 Jeffress; Chris Warner our general counsel, and lead
10 investigator Steve Selk and others of our staff.

11 At this time I'd like to give a brief
12 safety message. In the event of an emergency, exits
13 are directly behind you, as well as these two doors,
14 which lead directly outside. Also, if you have a cell
15 phone, I hope you would be considerate to others
16 around you and please turn your cell phone off so that
17 we're not disturbed. Thank you.

18 Our subject this evening is the tragic
19 explosion that occurred at West Pharmaceutical
20 Services here on January 29. That explosion resulted
21 in six fatalities, dozens of injuries, and much
22 economic hardship to this area. We're holding this
23 meeting tonight to brief the community on our initial
24 findings to date and to hear from members of the
25 public who have been affected by this event.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 The CSB investigators arrived here in
2 Kinston the same day of the event, and since that time
3 they have been conducting a far reaching investigation
4 of the facts and circumstances surrounding this
5 devastating event. Today marks their first official
6 report back to this community, as we reach the
7 expected midpoint of our investigation. Our goal at
8 the Chemical Safety Board is to do everything that we
9 can to make sure that an explosion like this doesn't
10 happen again, either here in Kinston or elsewhere
11 around the country. To do that we need to understand
12 all of the causes of the accident. We approach this
13 task with a sincere sense of urgency. On February 20,
14 less than a month after the accident here, a similar
15 explosion occurred at an automotive insulation plant
16 in Corbin, Kentucky. That event led to seven deaths
17 and numerous injuries.

18 After the investigators' presentation this
19 evening, there will be an opportunity for the public
20 to comment, as I know many of you here have been
21 profoundly affected by this event and we will
22 accommodate as many of you as possible. When the
23 comment period begins, those who wish to comment
24 should line up here near these microphones that are
25 provided in the auditorium.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 (Instructions regarding comments were
2 given in Spanish.)

3 We have a few procedures that I would like
4 to talk to you about before the comment period. In
5 view of the number of people here tonight, we ask that
6 you limit your comments to three minutes. If you'd
7 like clarification on anything that you've heard here
8 tonight, we will try to accommodate brief factual
9 questions for the investigators. Naturally, the team
10 cannot field any questions concerning pending legal or
11 regulatory compliance action. Those are not issues
12 handled by the Chemical Safety Board. Our goal at the
13 CSB is to determine the cause of accidents like this
14 one and recommend actions to prevent recurrence, not
15 to apportion blame or responsibility. I'd emphasize
16 that the main purpose of the comment period is to hear
17 from community members. If you're a journalist and
18 you have specific questions about the investigation,
19 please consult with one of the agency staff around the
20 room after the investigation and we'll be happy to
21 assist you.

22 Now before we begin, I would also like to
23 introduce several distinguished guests here this
24 evening. And if you would, I would appreciate it if
25 you would stand if that would be all right. Mr. Oscar

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Herring, who is a county commissioner here, Mayor John
2 Mosely, who is mayor of Kinston, Representative Wayne
3 Goodwin who is chair of the Safety and Health
4 Committee for the state House of Representatives, and
5 also Staben Gonzales who is legal counsel for the
6 Mexican Consulate in Raleigh. Thank you. Thank you
7 all for being here.

8 With that I'd like to turn the floor over
9 to Dr. Taylor for brief comments.

10 ANDREA TAYLOR: Thank you, Chairman
11 Merritt. Good evening. I am from a small town in
12 Alabama that reminds me a lot of Kinston. I arrived
13 here the night of the explosion with our chairman and
14 our investigation team. For several days after the
15 event, I watched and observed how all of you came
16 together to assist your fellow co-workers and friends.
17 I had the opportunity to speak with many of the
18 workers who had been there that day. I promised you
19 the Chemical Safety Board was here for the long haul
20 and that we would be back in Kinston to hear more from
21 the community about your concerns and to update you on
22 our preliminary findings. Well, as promised, this is
23 that meeting.

24 I understand the impact that such an
25 incident can have on workers and the entire community.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Kinston has suffered a great deal emotionally and
2 economically. It is my sincere hope that from this
3 investigation we can prevent incidents like this from
4 occurring again.

5 On behalf of the board, I would again like
6 to extend my condolences to the families who have lost
7 loved ones and my regret to those workers who have
8 sustained injuries as a result of this tragic event.
9 As we begin this meeting, let us pause to remember the
10 victims who many of you knew well: Faye Wilkins,
11 William Gray, Alvin Butchgrant, James Byrd, Milton
12 Murrell, and Kevin Cruise. Thank you.

13 CHAIRMAN CAROLYN MERRITT: Thank you, Dr.
14 Taylor. With that I'd like to introduce Mr. Steve Selk
15 who will begin our presentation this evening.

16 STEVE SELK: Thank you, Madam Chair, Dr.
17 Taylor, and Mr. Warner. Good evening, ladies and
18 gentlemen, and thanks for attending. We have two
19 objectives for tonight. First, we want to give you an
20 update on the progress of the investigation. And
21 second, we are interested in learning about any
22 comments, concerns, and ideas that you may have. The
23 information we're going to present to you tonight is
24 preliminary. It will remain that way until it is
25 reviewed and voted on by all five members of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Chemical Safety Board. Nonetheless, we can give you a
2 report of the findings the investigation team has made
3 so far.

4 It is our conclusion that the blast was,
5 in fact, an explosion of the polyethylene powder that
6 was used as a nonstick coating for rubber sheeting
7 made at the plant. During the production process, the
8 plant ventilation system drew fine dust particles into
9 the space above an unsealed suspended ceiling where it
10 settled and built up. We have not yet been able to
11 determine what ignited this dust. We're continuing to
12 work on that.

13 We'll present the investigative data to
14 you tonight in stages. It will begin with a brief
15 familiarization that describes the type of
16 manufacturing operation that was ongoing in the area
17 where the explosion occurred. After that we will
18 summarize what first-hand witnesses saw and heard.
19 That will be followed by a description of the physical
20 damage. We'll explain briefly how the pattern of
21 damage leads to a determination of where the largest
22 blast was centered. After we have gone over all these
23 things, then we'll explain how the material that
24 exploded came to accumulate to a hazardous level.

25 We have some of the material with us here

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tonight. Our testing has confirmed that this
2 polyethylene powder recovered from the ruins of the
3 plant is explosive when mixed with air. It contains
4 enough energy to account for the level of destruction
5 we observed. We are going to ignite a small amount of
6 it here on the stage.

7 Finally, we'll close with some remarks
8 about the future course of the investigation and then
9 turn things back to Chairman Merritt and Dr. Taylor so
10 that the second part of the agenda, your comments and
11 concerns, can be heard.

12 Before we begin the manufacturing
13 familiarization, let me mention that the investigative
14 team departed Washington and arrived at the West plant
15 the day of the incident. Later we entered the
16 accident site together with agents from the Bureau of
17 Alcohol, Tobacco, and Firearms and with investigators
18 from the state Occupational Health and Safety
19 Administration. Within a week or so the accident was
20 declared accidental. The Chemical Safety Board has a
21 long- standing agreement with the Bureau of Alcohol,
22 Tobacco, and Firearms that calls for the Chemical
23 Safety Board to become the lead federal investigative
24 agency in circumstances such as this.

25 Let me now introduce you to Lisa Long.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Lisa is a key member of the investigative team. She
2 has a degree in chemical engineering from Virginia
3 Tech. Lisa will describe to you the nature of the
4 manufacturing operations that were being conducted in
5 the area where the accident occurred.

6 LISA LONG: Good evening. I'd like to
7 start the presentation tonight by giving some basic
8 background information on the West plant and the
9 manufacturing process that was involved in the January
10 29 explosion.

11 As many of you already know, the facility
12 was divided into two operations. These were commonly
13 referred to as the ACS side and the Kinston side.
14 Both of these operations were housed in the Kinston,
15 North Carolina, facility. On the ACS side, rubber
16 materials were compounded or mixed for use as a raw
17 material in the Kinston side or in other West
18 facilities. On the Kinston side, the compounded rubber
19 from ACS was molded into various final products, such
20 as syringe plungers and intravenous filament used in
21 drug delivery systems. The explosion on January 29
22 occurred in the ACS side of the plant. There were 255
23 West employees who worked at the site, and there were
24 also eight full-time contract employees from Mega
25 Force and 27 contract employees from IH Services.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This diagram represents a simplified plant
2 layout. In order to orient you properly, I've shown
3 Rouse Road Extension here in the front of the plant.
4 The main visitor entrance is right here (indicating).
5 The employee break rooms are right here (indicating).
6 This (indicating) is the Kinston side of the plant.
7 The other half is the ACS side. The ACS tower is right
8 here (indicating) and this is the ACS warehouse
9 (indicating).

10 This is a 3-dimensional diagram of the
11 West facility. Again, Rouse Road Extension runs in
12 front of the plant. This is the Kinston side
13 (indicating). And the ACS is in the back half. The
14 ACS warehouse is right here (indicating) and the ACS
15 tower is right here (indicating). The ACS process
16 that I'm about to describe to you is housed in and
17 around the tower. The mixers are on the upper levels
18 of the tower and the mills and batchoffs are directly
19 below them on the lower level.

20 West makes several different formulations
21 of compounded rubber in ACS, and ACS has two redundant
22 processing lines. This simplified schematic shows the
23 flow through one of the processing lines. Most of the
24 raw materials for the particular formulations being
25 made are sorted and gathered in what was known as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 kitchen area. The materials were mostly rubbers and
2 powders. The kitchen is located on the ground level
3 and the raw materials are moved upstairs to the tower
4 area by conveying systems. The raw materials are then
5 placed into a large mixer. The mixer was automated
6 and would mix the raw materials together for a
7 specified amount of time in order to get a rubber mix
8 with the properties needed for whatever final product
9 it would be used in. There was no chemical reaction
10 in the mixer. It was simply a mixing process.

11 When the mixing process was complete, a
12 door at the bottom of the mixer would open and the
13 compounded rubber would drop through a chute onto a
14 mill located on the lower level. At the mill the
15 rubber would be pressed into a flat sheet. After
16 being processed on the mill, the flat sheet of rubber
17 would be fed into what was commonly known as the
18 batchoff. On the batchoff, the flat sheet of rubber
19 would be fed through rollers and into a dip tank.

20 In the dip tank the rubber would be coated
21 by what was called slab dip. Slab dip was a
22 dispersion of polyethylene powder and water, and it
23 looked like this that I have here, a white liquid.
24 After being coated with slab dip, the rubber would
25 travel over a system of rollers that passed in front

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 of a series of fans. The purpose of the fans was to
2 dry the slab dip onto the rubber. The polyethylene in
3 the slab dip insured that the rubber did not stick to
4 itself. After being dried by the fans, the rubber was
5 folded into sheets and placed in boxes to be used in
6 the Kinston side or at other West plants.

7 Now the powders used in the ACS process
8 produced dust. Both the ACS kitchen and the mixing
9 area had dust collection systems that removed much of
10 the dust from these areas. The batchoff system
11 produced some dust when the fans blew the slab dip
12 coated rubber dry. There was a local filter system at
13 the batchoff but not a dust collection system.

14 On this diagram you may also notice a drop
15 ceiling. This created a space between the ceiling and
16 the floor above. Later tonight Angela Blair will be
17 talking about the role this drop ceiling played in the
18 incident. I would also like to note that during our
19 investigation we learned that there were full-time
20 cleaning personnel who helped to keep these areas very
21 clean, and dust was not allowed to accumulate on the
22 plant's visible working surfaces. This concludes my
23 description of the process.

24 STEVE SELK: Thank you, Lisa. From the
25 description that Lisa gave you, ladies and gentlemen,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 I think it's fair to say that the operation at West
2 was not one that most of us would consider to be
3 particularly dangerous.

4 During the course of the investigation we
5 conducted many interviews. The team also reviewed
6 information gathered during interviews done by agents
7 of the Bureau of Alcohol, Tobacco, and Firearms and
8 the North Carolina State Bureau of Investigation. We
9 learned that the event at West was a sudden one.
10 There does not seem to have been any advance warning.

11 Angela Blair graduated with a degree in
12 Chemical Engineering from Auburn University in 1982.
13 She's a registered professional engineer. Angela will
14 summarize for you the information we gathered from
15 first-hand witnesses.

16 ANGELA BLAIR: Thank you, Steve. As Steve
17 told you, the Bureau of Alcohol, Tobacco, and Firearms
18 conducted screening interviews. They conducted 177
19 such interviews during the first week after the
20 explosion. The Chemical Safety Board investigation
21 team participated in that interview process and
22 selected key witnesses for in-depth interviews. As of
23 today, the Chemical Safety Board investigation team
24 has interviewed 93 witness. These include hourly,
25 salaried, and contract employees and neighbors of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Kinston facility.

2 Our first interviews took place the
3 morning after the accident. We finished most of the
4 employee interviews by the end of March, although some
5 of the salaried employee interviews took place as
6 recently as last month.

7 It seemed a very daunting task to
8 determine what exactly happened on the morning of
9 January 29, 2003, based on the mound of tapes and
10 notes from nearly 300 interviews. Clearly, we needed a
11 systematic approach. We identified key issues or
12 areas of interest, such as how many explosions the
13 witnesses heard, where they were, what their job was,
14 and what was their knowledge of the ACS conditions on
15 the morning of the accident.

16 We then summarized each witness's
17 testimony around those key areas. We separated the
18 people who were not on site at the time of the
19 explosion from those who were and compared the
20 information from the Chemical Safety Board interviews
21 with the notes that we had from the ATF interviews.

22 Finally, we organized the 44 eyewitness
23 accounts into charts to look for patterns and for
24 corroboration. The graphic that I'm going to show you
25 in a few minutes is the result of that analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 We learned a great deal from the
2 interviews my colleagues and I conducted. All of us
3 greatly appreciate the cooperation of the employees
4 and other witnesses, and we want to thank them for
5 taking the time to talk with us. It's very important
6 for investigators to hear firsthand accounts by people
7 who were there when the accident happened, people who
8 were at ground zero, so to speak. As I will show you
9 on the diagram on the next slide, what the
10 eyewitnesses saw or heard was very much dependent upon
11 where they were at the time of the accident.

12 A few witnesses described a bright flash
13 of light just prior to the explosion. While some
14 employees experienced two distinct explosions, some
15 only heard one, and a few heard nothing at all. For
16 this last group of employees, they described a sudden
17 plunge into darkness as the lights failed and then the
18 ceilings and the walls started to collapse.

19 Through our interviews we began to
20 understand the compounding process and the work flow
21 at West. We heard of the working conditions and life
22 at the facility. The management interviews gave us an
23 understanding of the way decisions are made and how
24 knowledge is shared within the company. These
25 interviews will continue over the next few weeks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 This is the same simplified layout diagram
2 you saw in Lisa's presentation. I've taken the labels
3 off to make it simpler to read, because it's going to
4 get real busy here in a minute. After we analyzed the
5 witness accounts, we started to see some patterns
6 emerge.

7 Close to the center of the explosion
8 witnesses described the bright flash just before the
9 explosion. It's shown here as a yellow triangle.
10 This larger red area is the location of people who
11 heard two distinct events and also the locations of
12 the most serious casualties for this accident. This
13 even larger orange area shows where employees heard
14 one large explosion. Within that area we match the
15 employees who actually felt the concussion or shock of
16 the explosion. This pink area, there, shows where the
17 people were who actually did not hear anything. Now
18 it's interesting that the people in the break room, up
19 here on the top corner, in some cases heard nothing
20 but they felt the shock wave, while the people in the
21 smoke room actually heard the blast. The folks that
22 were in this area colored in pink may have been
23 standing directly next to or alongside of someone who
24 heard the explosion. The people in -- it works when
25 you don't want it to. The people on the far end of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the -- outside edges of the plant were probably
2 hearing noise that was coming from the outside of the
3 building. As many of you know who were off site at
4 the time of the explosion, this blast could be heard
5 as far as five miles away. Finally, we have a blue
6 line that shows the locations of five witnesses who
7 described hearing the sound of rolling thunder just
8 prior to the explosion. This is consistent with a
9 dust explosion. Now it also may be confusing to you
10 that some of these areas overlap. I want you to keep
11 in mind that in some cases two -- the same person is
12 mapped twice. We had some people who heard a blast
13 and felt the shock wave. We had some who felt it but
14 didn't hear it. We have some people who heard it but
15 did not feel it, so this is just a general pattern to
16 help us analyze the witness information.

17 It's also important to note that we had,
18 as I said earlier, cases of employees standing side by
19 side who heard things differently. It's not unusual
20 at all for witnesses to just a dramatic and sudden
21 event to have completely different recollections of
22 the details.

23 Now what conclusion do we draw from this
24 diagram? That those closest to the explosion heard the
25 event in greater detail. Lulls and distance muted the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 effects and noise from the blast for those employees
2 on the far edges of the plant. The pattern of witness
3 accounts supports the physical evidence for the origin
4 of the explosion, as you will see in Johnnie Banks's
5 presentation coming up next.

6 Out of all the witness statements, several
7 key findings started to emerge. First, there was
8 nothing unusual going on in that plant that morning.
9 A seemingly normal workday suddenly erupted into
10 chaos. Second, no single witness was able to describe
11 seeing or experiencing the actual initiating event,
12 although a few witnesses did hear an initial smaller
13 explosion. Finally, we found that the testimony of
14 the witnesses to be very consistent with the findings
15 from the field observations that Johnnie Banks will be
16 telling you about next.

17 STEVE SELK: Thank you, Angela. The
18 explosion and resulting fire caused a great deal of
19 damage to the West plant. The site remained dangerous
20 for several weeks. Metal panels, concrete, and other
21 items hung precariously from the building, sometimes
22 fluttering in the wind and threatening to fall. The
23 steel structure in the compounding area required
24 stabilization and access through the debris was
25 difficult. All this slowed the pace of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 investigation. However, we were able to determine the
2 location of the large blast with some accuracy.

3 Johnnie Banks is also a member of the
4 investigation team. Johnnie is a graduate of the
5 University of California- Berkeley and worked for
6 Chevron Corporation for many years where he developed
7 a special interest in safety. Johnnie will go over
8 the results of our damage assessment and identify the
9 center of the explosion.

10 JOHNIE BANKS: Thank you, Steve. Good
11 evening, everyone. The next order of presentation I
12 will provide some of our findings relative to the
13 origins of the blast at West Pharmaceuticals and an
14 overview of the most severe damage caused by the
15 explosion and subsequent fire.

16 Prior to starting, however, I'd like to
17 take a moment to preview some of the areas that I will
18 be discussing. They are the mills and batchoff #1 and
19 2; the ACS warehouse, which is located in the lower
20 right-hand corner of the diagram; the kitchen which is
21 just to the right of the mill; the upstairs ACS, which
22 also housed mixers #1 and 2 and which would normally
23 be oriented directly over batchoffs 1 and 2. To
24 provide a landmark, Rouse Road Extension is shown here
25 (indicating), just to the west of the plant. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 finally, true north is shown here (indicating),
2 cutting a path directly across the plant, from left to
3 right from the southernmost portion of the plant.

4 With that being said, I'm going to now
5 describe some of the damage from the explosion/fire of
6 January 29, 2003. One of the most stunning
7 observations from this event in the analysis of
8 physical evidence was that the blast caused the
9 movement of the batchoff approximately several feet to
10 the west. This machine weighed several tons. The
11 green figure that just appeared in the diagram is
12 meant to illustrate the movement of this machine.
13 Masonry block walls surrounding the area to the east,
14 to the north, and to the west sustained heavy damage,
15 indicating extreme blast pressure. The force of the
16 blast pushed these walls in an outward direction.

17 Piecing together these early findings
18 combined with evidence observed at ground level of
19 both mills, investigators conclude that there was a
20 significant event that occurred in the immediate
21 vicinity of mill batchoff #1. Right there
22 (indicating). In examining the damage to structural
23 steel and masonry block walls, the most severe forces
24 were in these areas, indicating that the blast
25 originated in this location with a blast pattern of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 360 degrees adjacent to or just southeast of mill #1.

2 Concrete slab flooring directly over the
3 batchoffs between mixers 1 and 2 was pushed in an
4 outward -- in an upward direction and gave way to an
5 approximate four-foot opening between the concrete
6 floor and the steel supported ceiling above the mill
7 area. This allowed blast pressure to enter the upper
8 reaches of the tower. Additionally, the highest
9 number of employee casualties occurred at or near mill
10 #1.

11 Three of the six fatalities were from
12 injuries sustained in the area of batchoff mill #1,
13 while a fourth was from injuries incurred near
14 batchoff mill #2. Two more fatalities would result
15 from injuries sustained in the areas east and west of
16 the mill, in the kitchen and just south of the
17 extruders.

18 A significant number of ceiling tiles were
19 blown in a downward direction, ripping the hangers
20 from their anchoring posts, which is consistent with
21 blast pressure forces from above. Also, these tiles
22 exhibited burn patterns and splattering predominantly
23 on one side, the side facing the concrete floor above.

24 Responses from interviews with employees further away
25 from the mill areas recall the sound of rolling

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 thunder and wind being blown either in their direction
2 or of a vacuum effect.

3 It is important to note that this type of
4 feedback is consistent with the investigative team's
5 theory of the nature of the explosion that occurred at
6 West and what is known as blast wave movement where
7 dust is involved. This sound and sensation was very
8 likely the blast wave moving through the facility,
9 seeking paths of least resistance.

10 The explosion affected virtually every
11 corner of the facility. Even in the farthest reaches
12 of the plant, damage was extensive, including broken
13 windows in the break room and buckling of walls and
14 doors on the opposite side of the plant.
15 Additionally, off-site businesses and homes suffered
16 varying degrees of damage. And at a nearby school,
17 six picture windows were broken and several students
18 sustained injuries.

19 The blast also progressed southward into
20 the ACS warehouse. This activity caused material in
21 the warehouse to catch fire. After the material in
22 the ACS warehouse became involved, there were reports
23 of explosions, as many as fifteen minutes after the
24 initial blast shook the plant. This explosion could be
25 the result of a propane tank on a forklift exploding.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Earliest accounts from witnesses recall
2 that the metal siding from the tower area of the ACS
3 was blown off of the facility almost from the outset.

4 As can be seen in this view, the damage was
5 extensive. Debris from the blast was found as far
6 away as two miles, and as mentioned earlier, virtually
7 every portion of the plant was affected.

8 In this view of the area directly over the
9 batchoff mill area, it can be seen that the steel
10 frame underwent tremendous forces, causing it to bend
11 in several key support areas. This indicates
12 significant blast forces from within the building.

13 In summary, an examination of the
14 equipment and evidence recovered at the scene yielded
15 the following observations: A significant number of
16 ceiling tiles were blown in a downward direction.
17 These ceiling tiles and their anchors were ripped from
18 their anchoring posts which suggests explosive forces
19 from above the tiles as opposed to forces from below,
20 which would likely have left the hangers intact.

21 The masonry block wall south of mixer #1
22 was pushed in an outward direction and impacted the
23 south side of mixer #1, inflicting heavy damage to the
24 machine and associated piping.

25 The batchoff from mill #1 was moved

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 approximately five feet to the west. Two cinderblock
2 walls to the east of the mill that framed a hallway
3 between the mill and the kitchen were knocked down and
4 blown into the kitchen. The masonry block walls to
5 the west of the mill were knocked down and blown into
6 the direction of the finished goods warehouse. Blast
7 forces pushed upward on the concrete floor in the
8 vicinity of the mills, #1 and 2, causing a four-foot
9 opening.

10 Finally, I'd like to present a
11 demonstration using computational fluid dynamics data
12 to illustrate what our preliminary findings indicate
13 occurred at West.

14 In plan and elevation views of the plant,
15 it shows the likely path of the blast wave from
16 initiating event through the final explosion. This
17 material was developed using the actual dimensions of
18 the facility and the result of sample testing.

19 First, we'll view an animation of the
20 blast wave through the facility and then we will see a
21 frame by frame analysis of those paths.

22 (Animation was shown on screen.)

23 And this captures the initiating event
24 right there (indicating) and that's the wave you can
25 see moving through the ACS warehouse and through the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 plant northward. Now we'll view a frame by frame
2 analysis.

3 In this opening frame, an initiating event
4 is shown in the area of the batchoff #1 area. That
5 thing right there (indicating). The blast pressure
6 expands and quickly reaches the east and west walls of
7 the batchoff #1 area. There (indicating). The blast
8 wave moves north toward batchoff #2. Also, the blast
9 vents out of openings to the south and begins to vent
10 into the ACS warehouse. The blast pressure continues
11 to fill the first level of the batchoff mill area and
12 vent into the ACS warehouse. The second floor at the
13 south end of the batchoff mill area is lifted and the
14 blast begins to enter the second level. The first
15 level walls at the south end of the batchoff mill area
16 begin to fail under the blast pressure and it
17 propagates into surrounding areas.

18 The blast pressure continues to fill the
19 first level and vents into the ACS warehouse. The
20 south end of the second floor fills with blast
21 pressure and this begins to propagate north through
22 the second level. The first level walls fail and the
23 blast propagates in the surrounding areas. There
24 (indicating) would be the area that would be failing,
25 moving into the kitchen area.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 The blast pressure continues to propagate
2 into the ACS warehouse and northward through the
3 second level. There was a significant failure of
4 walls and roof coverings at the south end of the
5 batchoff mill area. The blast begins to vent to the
6 surrounding rooms and to the outside. At some point
7 the masonry walls of first pit #1 and later pit #2
8 failed under pressure from below and are pushed into
9 the pits.

10 The blast pressure continues to propagate
11 northward through the second level. Wall and roof
12 coverings are pushed off the building from the inside.

13 The blast continues to vent into surrounding areas of
14 the building and to the outside. The blast pressure
15 reaches the north end of the second level and the wall
16 and roof coverings are pushed off from the inside.

17 That concludes my portion of the
18 presentation, and I will now turn the proceedings back
19 over to Steve. Thank you.

20 STEVE SELK: Interpretation of damage
21 patterns indicates that the large blast occurred in
22 the lower level of the compounding area, centered
23 between the south mill and what is referred to as
24 kitchen. Angela Blair will now explain exactly what
25 it was that exploded and how it came to accumulate to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 hazardous levels in the area where the blast occurred.

2 ANGELA BLAIR: To repeat what Steve Selk
3 told you earlier, the Chemical Safety Board
4 investigation team believes that the destruction of
5 the West Pharmaceutical Plant in Kinston was caused by
6 a dust explosion.

7 This pentagon is a simple way of looking
8 at dust explosions and is similar to the fire triangle
9 of fuel, oxygen, and energy that some of you may be
10 familiar with. Five elements must be in place to have
11 a dust explosion and were present at West on January
12 29, 2003.

13 First, there must be a fuel, a combustible
14 dust. The smaller the dust particle, the more likely
15 the dust is to explode. Second, if there's no oxygen
16 the dust will not burn. Since oxygen is always around
17 us in the air we breathe, we can assume there was
18 oxygen present. Third, without dispersion or being
19 fluffed into a cloud, the dust will smolder but it
20 will not burn rapidly enough to explode. Next, we need
21 some kind of energy to ignite the dust cloud. Finally,
22 the dust cloud must be confined in a room or a
23 building for a damaging explosion to occur. When the
24 dust cloud is ignited indoors, the pressures and the
25 rapidly burning cloud reach dangerous levels in a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 split second and Johnnie showed you the step by step
2 analysis of how that blast pressure moved through the
3 building.

4 By analyzing the pattern of structural
5 damage and beam bending and by comparing this
6 information to eyewitness accounts, the CSB
7 investigation team has concluded that the big
8 explosion at the Kinston facility happened below the
9 concrete floor for mixer #1, near batchoff 1. The
10 evidence suggests that the explosion probably occurred
11 in the space between this floor, the concrete floor,
12 and the suspended or drop ceiling for the first floor.

13 This evidence includes ceiling tile fragments found
14 as far away as two miles from the facility that were
15 scorched on the top side but not burned on the bottom.

16 You've heard us mention the term "drop
17 ceiling" several times tonight. I want to make sure
18 that everyone understands what we mean by a drop
19 ceiling. This is a false ceiling formed by suspending
20 a framework by wires from the ceiling trusses or beams
21 and then inserting acoustical tiles into that
22 suspended frame.

23 This is a photo of a typical acoustical --
24 acoustical tile drop ceiling. This photograph shows
25 the suspension for a typical drop ceiling without the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 tiles installed. Notice the framework and the wire
2 hangers. We've got the wire hangers here (indicating)
3 that are holding up the framework, and those wire
4 hangers are tied to beams above. Acoustical tiles
5 actually drop down into this framework.

6 Next slide. Lisa described to you earlier
7 tonight the process that was used for rolling the
8 rubber into strips. Lisa mentioned that the rubber
9 strip was run through a dip tank and coated with a
10 material called slab dip. Remember, that slab dip is
11 a dispersion of ultra fine polyethylene powder in
12 water. Air was blown across the rubber strip to dry
13 it. Once the rubber was dry, what remained on the
14 surface was a baby powder-like dusting which kept the
15 rubber strip from sticking together when it was
16 folded. Since the mid 1990s, the powder part of the
17 slab dip has been polyethylene. Prior to that time,
18 another material, called zinc stearate, was used as
19 the dip. We've learned that both forms of this slab
20 dip dry to combustible powders. When the air was
21 blown across the rubber to dry it, some of the dusty
22 particles were wafted into the air.

23 We did a careful review of the materials
24 that were present at the site, looking for possible
25 fuels for this explosion. Based on testing results,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealgross.com

1 the investigation team has concluded that the material
2 that exploded was dust formed by dried slab dip. Dust
3 was the fuel. Dispersed in air it formed an explosive
4 mixture.

5 West went to great effort and had a
6 regular program to continuously clean the dust from
7 the equipment, the walls, and the floors in the
8 milling area. However, this powder also migrated
9 above that drop ceiling through small openings in the
10 ceiling and by being pulled by slight suction from the
11 air conditioning intakes above the ceiling.

12 You'll see here that I've indicated a
13 grate. This is just an open box type of a tile. They
14 replaced one of the tiles with this grating and this
15 lets the air flow go from the room back up into the
16 area above the ceiling and into the air conditioning
17 intake.

18 The powder accumulated on ceiling tiles,
19 conduits, duct work, and light fixtures. Although
20 West replaced the ceiling tiles from time to time,
21 dust was continuously deposited and employees recall
22 seeing layers of accumulated dust in just a few weeks
23 prior to the explosion. The other surfaces above the
24 tiles, the lights, pipes, and ducts were not cleaned.

25 This drop ceiling here (indicating) created a space

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 where an explosion could occur and spread. For this
2 reason unsealed ceilings are not recommended where
3 combustible dusts are present.

4 When fine combustible powder accumulates
5 on a flat surface, we have fuel for an explosion.
6 Some initiating event happened that fluffed up the
7 accumulated powder. The resulting cloud was ignited,
8 either by the initiating event or by static
9 electricity within the cloud. Eyewitnesses heard a
10 sound like rolling thunder, as we've said, as a
11 rapidly expanding chain of explosions moved through
12 the ceiling space and literally tore the building
13 apart.

14 The evidence for this smaller event, and
15 we still don't know what the initiating event was, but
16 the evidence for this smaller event was hidden in the
17 rubble and the damage left behind by the larger
18 explosion.

19 STEVE SELK: Ladies and gentlemen, Angela
20 has explained how the heating, ventilation, and air
21 conditioning system drew polyethylene particles of the
22 slab dip up into the area above the ceiling tiles
23 where it settled and accumulated. That was the fuel
24 for the large blast that occurred at the West
25 facility.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 Polyethylene is arguably the most basic of
2 plastics. It's been in use for more than fifty years.

3 This plastic milk jug (indicating) is polyethylene.
4 It's hard to imagine a more benign material. How can
5 it be that this chemical substance caused such a
6 massive blast?

7 There are two parts to the explanation.
8 First, polyethylene is a good fuel. It is made from
9 petroleum hydrocarbons. Essentially, polyethylene is
10 nothing more than a particularly rigid form of wax.
11 Like wax, it burns.

12 The other part of the explanation is a
13 little more important. At West the polyethylene
14 accumulated as a very fine powder, like baby powder.
15 Perhaps the following example will illustrate why this
16 is important. If I had a wooden log here and a book
17 of matches, I'd be hard pressed to ignite that log.
18 And assume for a moment that it was well seasoned and
19 dry wood. If I took a pocket knife and whittled some
20 shavings and created a pile of wooden shavings here on
21 the podium, it wouldn't be hard to ignite with a match
22 at all, because the surface area is larger. There's
23 lots of air between the shavings. It's very
24 incendiary. Taken to the next limit, if the particles
25 were very fine, like sawdust, and were to become

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 dispersed in air, that can be an explosive mixture.
2 Or that is an explosive mixture.

3 As we were working in the accident site
4 among the debris, we were able to withdraw a sample of
5 the slab dip liquid that the rubber was actually run
6 through and coated. In the tank was a dispersion of
7 polyethylene powder and water. We've dried some of
8 the material in the lab and we have the portion of the
9 powder, the resultant powder, with us.

10 To demonstrate its ignitibility, I present
11 to you Mr. Jim Dahn. Jim joined us early in the
12 investigation and accompanied us on some entries we
13 made at the accident site. Jim is a professional
14 engineer and a well-known expert on dust explosions.
15 He is a member of the National Fire Protection
16 Association, Dust Explosion Prevention Committee. And
17 he owns one of the few accredited hazardous materials
18 testing labs in the country. Mr. Dahn will now tell
19 you a little more about dust explosions and
20 demonstrate how powdered polyethylene, when dispersed
21 in air, ignites. Jim will be assisted by Abdollah
22 Kashani, one of his employees.

23 JIM DAHN: Good evening. We'd like to
24 have a demonstration, a live demonstration, of what a
25 dust explosion looks like. What we have on the table

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 here today is an apparatus that was developed as a
2 standard for American Society of Testing and Materials
3 to evaluate the dust explosibility.

4 I'd like to regress just for a moment and
5 talk about dust, because we all deal with dust every
6 day of the year, don't we? In the house, you get dust
7 in the house. You get it on the windows. Yesterday I
8 had my car parked next to a driveway that they're
9 going to put new asphalt in it. And, of course, I
10 ended up with a lot of dust on my car. But that dust
11 was not explosive because it was really just the
12 rocks' dust that was being generated. And we know
13 from experience and over the years that grain dust
14 will obviously explode. We've seen many times grain
15 elevators that have exploded, blown apart. We've
16 heard about coal dust explosions in power plants. And
17 the question always is, is the material we're handling
18 a dust explosion hazard?

19 And what we're going to show here this
20 evening is the Hartman chamber. This is a chamber
21 where we're going to put the dust. And the dust we're
22 going to be putting in tonight is the polyethylene
23 dust from the West Pharmaceutical plant. And we're
24 going to put in about a half a teaspoon of the dust
25 inside of this cup. And we'll put the plastic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 container over the top of it and we'll put a cover on
2 it, and on the cover we have a thin piece of paper, a
3 very thin piece of paper that acts as a containment.
4 And we're going to set it up.

5 Now this is the dust that would have been
6 dried out from the slurry that you've seen Steve and
7 Lisa showing you. Very small quantity, about a half a
8 teaspoon that we're going to put in. And when we do
9 this demonstration, I know many of you way in back may
10 not see the full impact of this test. But if you
11 imagine that cylinder is like a room in the building
12 at West Pharmaceutical. And we have an ignition
13 source which could be any one of a number of ignition
14 sources. This one particularly here is an
15 electrostatic spark, a spark discharge. And what
16 we're going to do is cause a spark discharge first and
17 then loft the dust up in the air. We have a small
18 chamber, a very small chamber, on the side of the
19 apparatus that's up to 30 pounds per square inch of
20 air. A solenoid valve opens up and it disperses the
21 air up into the -- into the chamber itself. As Angela
22 was pointing out, in order to have a dust explosion,
23 you need to have an ignition source. You need to have
24 fuel, which is our polyethylene dust. You have to
25 have air. That provides the other element. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 confinement.

2 Within the last year I've been -- we've
3 been working with a company that was making
4 polyethylene pellets and they have dust in their -- in
5 their environment. And they were concerned about the
6 dust because of being collected in the dust
7 collectors. And they went out and they sent some
8 pellets out to one company to do dust explosibility
9 testing. They ground up the pellets into fine powder
10 which is minus 200 mesh, very small, and they ran the
11 tests, and sent the results back to the company saying
12 this polyethylene dust does not explode. We could not
13 get it to explode. I said this is strange, because
14 I've been around this business for thirty-some,
15 thirty-five years and I've always seen polyethylene
16 dust exploding in one form or another depending on the
17 particle size. So we went back to the plant. We got
18 some dust out of the dust collector and came to our
19 facility and ran the test. And obviously, the powder
20 was very explosive. One has to be careful about how
21 you're taking that material and evaluating whether its
22 a dust explosibility hazard or not.

23 This particular powder is extremely fine,
24 and you'll see what the result is when we kick up the
25 dust right now. And keep an eye -- Look above the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 electrodes and above up to here (indicating) to see
2 the reaction that's going on.

3 Oh, yeah, could we dim the lights, please?

4 ABDOLLAH KASHANI: Three, two, one, fire.

5 JIM DAHN: You can imagine that small
6 little explosion right here with a half a teaspoon of
7 dust. And looking at thousands and thousands of
8 quantities greater than that in the plant itself, and
9 kind of imagine what kind of result there's going to
10 be. This dust right here is kind of like a primary
11 explosion. When you get a dust kicked up like this
12 right here and if there's a lot of other dust around,
13 it's going to kick the dust up in the air and create,
14 like we have in grain elevators, secondary dust
15 explosions which are devastating.

16 I just came back from about three or four
17 plants that we did safety audits on. I discovered --
18 We discovered in the plants that they had dust laying
19 on top of the piping and conduit and in some places in
20 the corners, out of the way, dust was at least three
21 inches thick. So one has to be careful about where
22 that dust is collecting, be sure we know where it is.

23 Thank you very much.

24 STEVE SELK: Ladies and gentlemen, we have
25 talked tonight about some technical issues. However,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 we are only mid-way through this investigation. The
2 National Fire Protection Code and the International
3 Fire Code describe measures that industry can take to
4 control the hazards of combustible dusts. Some of
5 these measures were not adhered to in the West
6 facility. This may be partly explained by the fact
7 that no mandatory fire code was in force here in North
8 Carolina when the compounding area of the West plant
9 was built.

10 We are searching for other explanations as
11 to why the hazard was not recognized. We will be
12 asking why it is that some industrial segments are
13 more aware of the hazards posed by combustible dusts
14 than others. We are looking for what we referred to
15 as root causes. Frequently, root causes involve how
16 systems and activities are managed. What policies and
17 procedures were in place? How were they implemented?

18 What measures were taken towards understanding and
19 controlling the hazards of materials that were in use?

20 What were the qualifications of personnel? What
21 training did they receive? Beyond matters internal to
22 the business where the incident occurred, we will also
23 examine what codes and standards and good practice
24 guidelines exist. How does industry inform itself
25 about these codes and guidelines? To what extent are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 they followed? We will also consider what laws or
2 regulations are in place. Are these adequate and how
3 are they enforced? Could they be improved? This is
4 the more important part of the work that we do.
5 Attention to these issues is what will prevent further
6 recurrences, not just here in Kinston, not just in
7 North Carolina, but everywhere across the country.

8 There is much to be learned from an
9 experience such as the one that you've endured. We
10 know that none of you want this to happen again to
11 your friends and loved ones, so ultimately after the
12 board completes this investigation, recommendations
13 will be made to prevent recurrence. We are working on
14 these issues now. And we will report to you in due
15 course.

16 Thank you for your attention tonight,
17 ladies and gentlemen, and thanks to those who have
18 cooperated with us during difficult moments. Madam
19 Chair.

20 CHAIRMAN CAROLYN MERRITT: Thank you, Mr.
21 Selk, Ms. Blair, Mr. Banks, Ms. Long, and Mr. Dahn for
22 a very thoughtful and complete analysis and a clear
23 presentation. Thanks also to a number of other CSB
24 investigators. There were more than a dozen people
25 here and involved in this investigation in the last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 several months, but there are too many to bring and
2 too many to mention here. But we appreciate their
3 assistance as well.

4 I'd now like to begin the public comment
5 period. The floor is open for you. If you have
6 comments we would really like to hear them. There are
7 microphones being set up in the aisleway and if you
8 would, you're welcome to line up behind the
9 microphone. We're asking that you limit your comments
10 to about three minutes so that we can accommodate as
11 many of you as possible.

12 (Instructions regarding commenting given
13 in Spanish.)

14 At this time I'd ask you to speak your
15 name clearly so that our court reporters can get your
16 names and we can know who it is who's speaking and
17 what your affiliation is. And I would also ask that
18 you keep your comments germane to this event and try
19 to refrain from going off on other areas of interest
20 that you might have, and keep it to this event.

21 So those of you who would like to speak,
22 would you please step up to the microphone. We had
23 three people who registered; Ms. or Miss Bonnie Heath,
24 is she present? Lisa Franks, is she present? Yes,
25 would you like to speak? Go ahead. Come to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 microphone. And you're welcome to line up in the
2 aisle. Thank you. Somebody check and see if the
3 microphone is on for her, please. Would you check
4 this one also and see if it's on. There you go. I
5 think it's very on.

6 LISA FRANKS: Okay, my name is Lisa
7 Franks. And my father Milton Murrell was killed in
8 the accident. And I just have like one question.
9 Were the employees made aware of how flammable the
10 polyethylene was and was there any like warning for
11 them to know how flammable this material was?

12 CHAIRMAN CAROLYN MERRITT: Mr. Selk, can
13 you answer that or should we carry that for
14 advisement?

15 STEVE SELK: I -- I think that we do know
16 the answer to that question, Madam Chair.

17 CHAIRMAN CAROLYN MERRITT: Okay, thank
18 you.

19 STEVE SELK: The results of the
20 interviews, Madam Chair, were that the employees were
21 not familiar with the properties of this material.

22 CHAIRMAN CAROLYN MERRITT: Speak a little
23 louder.

24 STEVE SELK: The interviews indicated that
25 the employees were not familiar with the properties of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 this material.

2 CHAIRMAN CAROLYN MERRITT: Okay, thank
3 you.

4 LISA FRANKS: And I got one more question.
5 Okay. You said there was a cleaning personnel in --
6 in -- in West company and the tiles were being checked
7 occasionally. Well, when the tiles were being
8 replaced, did they see the accumulation that was above
9 the tiles? I mean, somebody should have known.

10 CHAIRMAN CAROLYN MERRITT: Thank you for
11 your comment. We'll take that under advisement.
12 Thank you very much. We have a David Willis. Is
13 David Willis here? Then sir, on this side.

14 ROCKNOR WILLIAMS: How ya doing? My name
15 is Rocknor Williams. And if I'm not mistaken, I think
16 I heard you say that the dust was like the fuel to the
17 ignition. And I'm one of the employees that relocated
18 down to, excuse me, down to Florida. And I'm saying I
19 don't know if it's the same setup or whatever, but
20 being that you said the dust, you know, I mean, what's
21 to stop it -- what's to stop it from not happening
22 down in the Florida plant or the Nebraska plant where
23 most of us are at?

24 CHAIRMAN CAROLYN MERRITT: I think that's
25 a question really that we can't answer. Is my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 microphone on? I think that's a question we really
2 can't answer at this time concerning a facility other
3 than this one. I would certainly suggest though that
4 you raise the question with your employer.

5 ROCKNOR WILLIAMS: I mean, like I said,
6 you said it was dust.

7 CHAIRMAN CAROLYN MERRITT: Yes.

8 ROCKNOR WILLIAMS: I mean, and it's a lot
9 of dust down there also so.

10 CHAIRMAN CAROLYN MERRITT: I would
11 strongly suggest that you raise that with your
12 employer.

13 ROCKNOR WILLIAMS: All right.

14 CHAIRMAN CAROLYN MERRITT: Thank you. Is
15 there another question? Are there any other comments
16 from anybody in the audience that you would like --
17 yes, sir.

18 OSCAR HERRING: I am Oscar Herring,
19 Chairman of County Commissioners. On behalf of the
20 citizens of Lenoir County, I appreciate the
21 information you have brought to us and give us some
22 insight on what happened. Thank you very much.

23 CHAIRMAN CAROLYN MERRITT: Thank you.
24 Yes, sir. You'll have to come to the microphone. I'm
25 sorry. We can't hear you. And introduce yourself,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 please.

2 TONY CHAMBERS: Yes, my name is Tony
3 Chambers. I'm a process engineer, design engineer.
4 And I certainly appreciate the information you're
5 sharing with us. It's certainly the sort of thing
6 that I like to take back to my clients. I do help
7 manufacturing companies design and build plants so I'm
8 always trying to pay attention to these sorts of
9 things. The question I have, I guess you're still
10 searching for the primary source of ignition. And I
11 was wondering if you had any information about the
12 type of electrical conduit and how the system -- how
13 the plant was wired and if it was suitable for, I'm
14 assuming, a Class II Division I or Division II
15 environment. Or if you have any information on that.

16 CHAIRMAN CAROLYN MERRITT: Thank you. Mr.
17 Selk, would someone like to answer that or take it
18 under advisement?

19 STEVE SELK: I think we can answer that.

20 CHAIRMAN CAROLYN MERRITT: Okay. Thank
21 you.

22 STEVE SELK: Generally, the electrical
23 equipment in the area where the blast occurred was not
24 classified for use where combustible dusts were
25 expected to be encountered. Keep in mind the company

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 did keep the process area very, very clean and were
2 not aware of any accumulations of hazardous dust in
3 the process area. The only accumulation that we're
4 aware of is above the ceiling tiles.

5 CHAIRMAN CAROLYN MERRITT: Thank you.
6 Does that help answer your question? Please step up
7 to the microphone if you have a question. Thank you.

8 Can I take this question over here?

9 MIKE BERRIAN: My name is Mike Berrian.
10 I've got a question for Steven Selk. Steven, you said
11 that no mandatory code was enforced when the plant was
12 built. I'm just trying to figure out what -- what
13 code is it that -- that wasn't enforced and how would
14 that have impacted the -- the explosion?

15 MADAM CAROLYN MERRITT: Mr. Selk, do you
16 want to answer that or can you answer that?

17 STEVE SELK: We're continuing to research
18 this matter, but it's our understanding at this time
19 that this county did not have a fire code, a specific
20 fire code like a National Fire Protection Code or the
21 International Fire Code in the late 1980s when the
22 expansion was done. I understand that the state of
23 North Carolina has since that time adopted the
24 International Fire Code which draws on the National
25 Fire Protection Code in the area of dust management.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

(202) 234-4433

www.nealrgross.com

1 Does that answer your question, sir?

2 CHAIRMAN CAROLYN MERRITT: Thank you.
3 Let's take a question over here. Yes, ma'am.

4 ALISE GALDIERITE: My name is Alise
5 Galdierite. I'm with the North Carolina Occupational
6 Safety and Health Project. I wanted to get a little
7 bit more detail related to Ms. Frank's question
8 earlier about the employees' knowledge of the dangers
9 of this type of dust. Based on the interviews that
10 y'all had with the folks that worked there, was there
11 particular training that employees mentioned they had
12 received, just generally or specifically about this
13 type of dust, or was there no training offered at all
14 to these employees? I ask that because a lot of times
15 in the work that I do I find that there's a number of
16 trainings that are offered to employees but sometimes
17 they're not as complete or adequate as they could be.

18 MADAM CAROLYN MERRITT: I appreciate your
19 question. Unfortunately, we can't divulge what --
20 specifically what employees' comments were. And also,
21 we can't comment right now on regulatory issues. So
22 I'm sorry, we wouldn't be able to answer that
23 question. We certainly will take it under advisement
24 in our investigation. Thank you. Yes, ma'am.

25 MIRANDA VICK: Hi, I'm Miranda Vick. I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 the daughter of an employee, and the question I have
2 is similar to what she has. As far as the chemicals
3 that produced this polyethylene dust, when these
4 chemicals are made or boxed or however they're sent
5 out, are they labeled that they can produce an
6 explosion or produce this dust which -- like a
7 warning? Is that something that you would know?

8 MADAM CAROLYN MERRITT: Steve, do you
9 think you can answer that at this time?

10 STEVE SALK: No, not at this time. We're
11 still researching these details.

12 MADAM CAROLYN MERRITT: Okay. All right.
13 We're still researching that at this time.

14 MIRANDA VICK: Okay.

15 MADAM CAROLYN MERRITT: Thank you.

16 ROCKNOR WILLIAMS: Excuse me. Can I ask
17 you another question, please. I'm standing because
18 you know, you have people here thanking you for coming
19 and showing up, and you know, I -- I mean, I'm greatly
20 appreciate it too. But it's like every question we
21 ask or people ask, you know, we're not getting an
22 answer, you know. I'm saying you guys are saying you
23 don't know what's going on or at this time you can't
24 answer anything. You know, I mean, I'm coming in and
25 I'm leaving the same way I came in, you know. I don't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 know anything. And -- And to be in that type
2 environment, you know, like you was telling me, you
3 don't know. I mean, I think it's scary. Honestly.
4 You know, I come here to try to get some type of
5 reassurance, you know, and what -- I mean, it's like
6 every question that is asked it's like you guys are
7 pleading the Fifth. I don't know.

8 MADAM CAROLYN MERRITT: In the middle of
9 this investigation, we are at a point of things that
10 we feel we can divulge but then there are regulatory
11 issues and issues regarding the company that we cannot
12 answer for them. So we -- we are attempting to answer
13 the factual and scientific questions that we can with
14 what we have as our information now. And also your
15 comments and concerns we'll take under advisement and
16 also make sure that -- We have another several months
17 to go yet with continued investigation before this is
18 complete. So we appreciate your comment.

19 ROCKNOR WILLIAMS: Well, what do you tell
20 -- What do you tell an employee or worker that's
21 working right now? I mean, how do you -- how do you
22 make them feel like secure or safe? You know, what --
23 what do you tell them?

24 ANDREA TAYLOR: Can I -

25 ROCKNOR WILLIAMS: Please.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 ANDREA TAYLOR: Can I try and help?

2 ROCKNOR WILLIAMS: Yes, please.

3 ANDREA TAYLOR: What we're saying is we're
4 still in the midst of our investigation. However, you
5 saw what we believe caused the fuel -- or the
6 incident. If you have current problems or you feel
7 that there may be problems at your facility right now,
8 you can go back to your employer with the information
9 that you did gather here so far regarding the dust and
10 try and implement to make sure that there are changes
11 made if there are problems, or at least get
12 clarification on exactly what is happening at the
13 current facility where you are. As far as the other
14 questions that have been raised by the workers, we've
15 taken everything back and we will investigate further.
16 We're really taking all of your comments and
17 questions seriously, and we will have at our final
18 report we will have those answers for you in more
19 detail at that time.

20 MADAM CAROLYN MERRITT: The Chemical
21 Safety Board is not a regulatory agency. We are an
22 independent agency that is commissioned by Congress to
23 investigate incidents just like this, like the
24 National Transportation Safety Board investigates
25 airplane or transportation accidents, and then to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 release the information about the cause so that people
2 just like yourself can be informed to try to prevent
3 this from happening anywhere else.

4 ROCKNOR WILLIAMS: Yeah, like I said,
5 that's what I'm talking about. I'm not trying to give
6 you guys a hard time or anything. I'm just trying to,
7 you know, trying to find out.

8 MADAM CAROLYN MERRITT: We understand --

9 ROCKNOR WILLIAMS: I came -- I came here
10 for answers. Like I was talking to the people back at
11 the plant. They sent me here. You know, and like you
12 guys say, well, go back there if you have any issues
13 or whatever. I'm just -- Listen, I'm just -- I'm just
14 a simple worker. I just -- I just want to feel safe
15 at the workplace.

16 MADAM CAROLYN MERRITT: Well, we
17 appreciate your comment and we understand your
18 concern. Thank you. Are there any other comments,
19 questions? Well, if there's no further comments, then
20 that brings us to the end of this planned agenda. I
21 once again thank all the members of the investigative
22 team and all of you who came and participated here
23 tonight.

24 The full board will convene here in
25 Kinston when the staff investigation is concluded to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701

1 issue our final report findings and safety
2 recommendations in this case. The board is deeply
3 concerned by the events and the subsequent plant
4 explosion in Corbin, Kentucky, which claimed seven
5 lives.

6 This inves -- The investigative staff is
7 reviewing of other serious dust explosions around the
8 country in recent years, including events in
9 Springfield, Massachusetts; Vicksburg, Mississippi;
10 Richmond, California. Sadly, all of these accidents
11 resulted in fatalities. The dangers of explosive dust
12 are not well known, and helping industry to understand
13 this insidious hazard certainly will be a priority for
14 the board in the future. Our investigation at West
15 remains ongoing and if you have any other information
16 pertinent to this case, you may contact the agency at
17 our headquarters in Washington, D.C. As always, your
18 written comments and submissions are welcome. With
19 that the meeting stands adjourned. Thank you all very
20 much.

21 (Meeting adjourned at 8:17 p.m.)
22
23
24

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS

1323 RHODE ISLAND AVE., N.W.

WASHINGTON, D.C. 20005-3701