

U.S. Chemical Safety and Hazard Investigations Board

Business Meeting

April 2, 2021

Conducted Remotely

U.S. CHEMICAL SAFETY BOARD MEMBERS PRESENT:

Katherine Lemos, Chairman & CEO

STAFF PRESENT:

David LaCerte, Acting Managing Director

Stephen Klejst, Director of Investigations and Recommendations

Chuck Barbee, Director of Recommendations

1 OPERATOR: Good morning and welcome to the Chemical Safety  
2 Board Public Business Meeting conference call. My name is  
3 Amira and I'll be the operator for today's call. At this  
4 time, all participants are in a listen-only mode. Please note  
5 this conference is being recorded. I'll now turn the call over  
6 to Dr. Katherine Lemos. Katherine, you may begin.

7 CHAIR LEMOS: Thank you so much, and welcome, everyone. We  
8 will now call to order this public meeting of the U.S. Chemical  
9 Safety and Hazard Investigation Board, referred to as the CSB. My  
10 name is Dr. Katherine Lemos, the Chairman and CEO for the agency.

11 And today we meet in open session, as required by the  
12 Government in the Sunshine Act, to discuss operations and agency  
13 activities. Due to the continued impact of the COVID pandemic,  
14 this meeting is being conducted remotely.

15 The CSB is an independent, non-regulatory federal agency  
16 that investigates major chemical incidents at fixed facilities.  
17 The investigations examine and evaluate a wide range of aspects,  
18 to include equipment and system design, regulations, industry  
19 standards and guidance, training, operations, and procedures, and  
20 human and organizational factors.

21 With the facts, we conduct analysis to determine the  
22 probable cause and contributing factors of the event and may also

23 issue safety recommendations for the purpose of preventing  
24 similar accidents or incidents in the future. It's only been four  
25 weeks since our last public meeting on the 3<sup>rd</sup> of March, but we  
26 have some good news to impart regarding progress towards our  
27 priorities and goals, which warrants an earlier meeting for the  
28 second quarter of FY21.

29 Last month I shared our Management Priorities and  
30 Challenges, CSB's accomplishments for the first quarter of FY21,  
31 and what to expect from the CSB as an agency moving forward. You  
32 can find those exact notes on our website, as we will post these  
33 notes after the meeting.

34 So, I'll start the meeting by providing an update to our  
35 progress on all these three fronts, as aligned with our  
36 priorities. And, for details during this meeting, we will hear  
37 from our Acting Managing Director, David LaCerte, and our  
38 Director of Investigations and Recommendations, Mr. Steve Klejst,  
39 and his staff.

40 Priorities. Our top priority as an agency is to focus on  
41 the mission. To drive chemical safety change, we need to continue  
42 developing and delivering high-quality safety product to the  
43 community.

44           So, last month we announced that, in the first quarter of  
45 FY21, we had made progress on 28 recommendation status changes.  
46 I'm pleased to report that, in the past month, we've made  
47 progress on ten more safety recommendation status changes, three  
48 of which we will highlight in today's meeting.

49           In addition, I mentioned that the draft investigation report  
50 that was prepared by staff for the incident occurring in Odessa,  
51 Texas, in October 2019 at the Aghorn Operating facility, which is  
52 a waterflood station, was being prepared for Board review process.  
53 So, we are now in the Board review process and anticipate having  
54 this complete and scheduling a virtual Board Meeting in four to  
55 six weeks.

56           Our second priority is to drive efficiency of operations  
57 within the agency, expanding our workforce and improving business  
58 partnerships. Last month, I also mentioned the need to hire both  
59 technical and support staff. And I'm pleased to announce that  
60 we've submitted four investigator positions to our human  
61 resources business partner since that last meeting. These  
62 positions are expected to be posted on USA Jobs shortly, with  
63 another round of investigator positions to follow.

64           A special thanks goes out to Tracy Mayo in Human Resources here  
65           at the Chemical Safety Board for her efforts in working to

66 get these requests finalized. We expect to have as many of these  
67 new investigators as is possible start this fiscal year.

68 Now, since the start of my term one year ago, I've typically  
69 mentioned this next topic under management challenge...challenges,  
70 which is, "Board Member Roles and Responsibilities." We have  
71 invested many hours over the past year investigating the best  
72 approach for the CSB moving forward, benchmarking with other  
73 agencies that are in our domain. I'm pleased to report that we  
74 now have finalized changes in response to the EPA Inspector  
75 General report dating back to at least 2018.

76 This is a major step forward for the efficiency of the  
77 agency. It will allow me to focus on my work as a Board Member  
78 and Chairman, as well as provide a governance architecture that  
79 allows new Board Members that will join us to be successful.

80 I will now turn the meeting over to Mr. David LaCerte, our  
81 Acting Managing Director, to provide more detail.

82 DIRECTOR LACERTE: Thank you, Dr. Lemos. The EPA Inspector  
83 General's 2020 Management Challenges Report identified several  
84 issues when it comes to the Chemical Safety Board's Board Member  
85 roles and responsibilities. The agency concurs with the EPA IG,  
86 and CSB management has focused on addressing these challenges, as  
87 mentioned in several public meetings over the past year.

88           A special thanks is due to the recently retired Deputy  
89 General Counsel for drafting and producing the bulk of what is  
90 to be the update for Board Order 28, Board Members' Roles and  
91 Responsibilities.

92           The new Board Order more closely aligns Board Member roles  
93 and responsibilities to our enabling legislation, which requires  
94 all Board Members to be appointed on the basis of technical  
95 qualification, professional standing, and demonstrated knowledge  
96 in the fields of accident reconstruction, safety engineering,  
97 human factors, toxicology, or air pollution regulation.

98           The new Board Order allows Board Members to better focus on  
99 their mission through engaging in technical reviews, stakeholder  
100 collaboration and community outreach, and empowers the Chairman  
101 and CSB staff, through delegation, to act in the administration  
102 of the agency. The new Board Order also provides for an express  
103 process in the instance of Board Member misconduct, and adopts  
104 several best practices from similarly-situated and -constructed  
105 agencies, most notably the NTSB.

106           We are thankful for the discussions with the EPA IG, and to  
107 those agencies we have consulted in our benchmarking process. We  
108 hope these newly defined lanes will minimize the longstanding  
109 prior issues of Board infighting to promote a more collegial and

110 collaborative practice amongst prospective Board Members. We are  
111 eager to onboard additional Board Members from the new  
112 administration after appointment and after Senate confirmation.  
113 And we are pleased to implement this Board Order so that they can  
114 hit the ground running to accomplish their objectives.

115 Thank you, and I turn it back over to Chairman Lemos. I think  
116 Dr. Lemos might have some technical problems. So, I'll kind of  
117 take over until she can...

118 CHAIR LEMOS: I'm sorry. [audio glitch] mute, so sorry about  
119 that.

120 DIRECTOR LACERTE: No worries.

121 CHAIR LEMOS: Can you hear me now?

122 DIRECTOR LACERTE: Sure thing.

123 CHAIR LEMOS: Before turning the meeting over to Director  
124 Klejst, who leads our Investigations and Recommendations Team,  
125 I'd like to first express my appreciation to our Investigators  
126 and Recommendations staff for their diligence and thorough review  
127 and consideration of every incident we take on and every  
128 recommendation response received. I'd also like to give a  
129 special thanks to our support staff, without which we would not  
130 be able to function.

131 As an agency, we also want to thank recipients of  
132 recommendations that have been responsive to our request for  
133 status and interactions. We know that recommendations are an  
134 important tool for the CSB, and that our independent and  
135 objective advocacy for change directly drives chemical safety.

136 Director Klejst, you have the floor.

137 DIRECTOR KLEJST: Thank you, Chairman Lemos. Chairman Lemos  
138 mentioned that we advanced ten new safety recommendation status  
139 changes this month. In the past few moments...in a few moments we  
140 will share details of the three...these three that warrant our  
141 review for the public meeting.

142 The Office of Recommendations is also working to finalize  
143 evaluations of the next group of updated responses received from  
144 recommendation recipients. The staff's proposed actions for the  
145 Board's consideration will be completed within the next several  
146 weeks. We look forward to providing an update at our next  
147 quarterly meeting.

148 As we announced last month, the Office of Investigations  
149 completed the draft report prepared by the CSB's investigation of  
150 the incident that occurred on October...in October of 2019 at the  
151 Aghorn operating facility in Odessa, TX. The draft report was  
152 submitted to the Board for review and comment. After the Board

153 completes its review and comments, a public meeting will be  
154 convened to share the outcome of the investigation.

155 I will now turn it over to our Director of Recommendations,  
156 Mr. Barbee, to present three of our recently closed safety  
157 recommendations we'd like to be highlighting at this meeting.

158 Director Barbee.

159 DIRECTOR BARBEE: Thank you, Executive Director Klejst. The  
160 three recommendations we will highlight come from the CSB's Airgas  
161 facility fatal explosion investigation. All three of the  
162 recommendations we are discussing were issued to the Compressed Gas  
163 Association. And here's the incident brief:

164 On Sunday, August 28, 2016, at approximately 12:10 p.m., a  
165 nitrous oxide trailer truck exploded at the Airgas manufacturing  
166 facility in Cantonment, Florida. The explosion fatally injured the  
167 only Airgas employee present and heavily damaged the facility,  
168 halting nitrous oxide manufacturing at Cantonment indefinitely.

169 The U.S. Chemical Safety and Hazard Investigation Board  
170 determined the most probable cause of the incident was a pump[that]  
171 heated nitrous oxide above its safe operating limits during the  
172 initial loading of the trailer truck. This most likely started a  
173

174 nitrous oxide decomposition reaction that propagated from the  
175 pump into the trailer truck, causing the explosion.

176 The CSB investigation found that Airgas lacked a safety  
177 management system to identify, evaluate, and control nitrous  
178 oxide process safety hazards. The CSB reviewed relevant industry  
179 standards by the Compressed Gas Association, or "CGA," and  
180 determined that safety in the nitrous oxide manufacturing  
181 industry would greatly benefit from the risk reduction provided  
182 by a process safety management system, proper flame arrestor  
183 design, and the application of international automation standards  
184 to pump run-dry safety interlocks.

185 As part of this investigation, the CSB issued six  
186 recommendations, only three of which remain open. And a number  
187 of...or the number of recommendations issued to this recipient,  
188 CGA, the Compressed Gas Association, are three. And those are  
189 the three that remain open.

190 So, the first of the three recommendations, which is 2016-4-  
191 I-FL-R2 reads: "Safety Management System for Nitrous Oxide  
192 Manufacturing. Develop and implement a safety management system  
193 standard for nitrous oxide manufacturing, to manage known process  
194 safety hazards, including nitrous oxide decomposition, which  
195 includes appropriate elements based on chemical industry good

196 practice guidance, such as CCPS Guidelines for Risk Based Process  
197 Safety, Essential Practices for Managing Chemical Reactivity  
198 Hazards, and Guidelines for Implementing Process Safety  
199 Management."

200 In May 2020, CGA published *CGA P-86, Guidelines for Process*  
201 *Safety Management*, that is applicable to the nitrous oxide  
202 industry. This document has 21 elements that fully implement a  
203 process safety management system necessary to manage known  
204 process safety hazards, such as nitrous oxide decomposition, as  
205 well as identify, assess, and manage other hazards.

206 It is also highly significant to point out that the scope of  
207 CGA P-86 extends far beyond addressing the hazards associated  
208 with nitrous oxide. In fact, the scope was expanded to address  
209 all processes within the industrial and medical gases industries.

210 Additionally, the process safety management elements found  
211 in the CGA P-86 come from multiples sources. In addition to the  
212 Center for Chemical Process Safety, or "CCPS," it also includes  
213 information from the European Industrial Gases Association to  
214 make it a globally harmonized publication. These actions provide  
215 increased safety over several industry segments that includes the  
216 international community. This significantly exceeds what the

217 recommendation intended, and by far surpasses the objectives  
218 envisioned by the Board.

219 As a result, on April 1<sup>st</sup>, 2021, the Board voted that the  
220 status be changed to "Closed, Exceeds Recommended Action." Any  
221 time a recommendation recipient receives this status, the CSB  
222 wants to recognize them for it. Great job, Compressed Gas  
223 Association.

224 The second...the second of the three recommendations we'll  
225 discuss is 2016-4-I-FL-R3. It says: "Ensure effective flame  
226 arrestor design. Modify Compressed Gas Association Standard CGA  
227 G-8.3, Safe Practices for Storage and Handling of Nitrous Oxide,  
228 to require testing of safety devices, such as strainers used as  
229 flame arrestors, for applications where a safety device is used to  
230 quench a nitrous oxide decomposition reaction. To ensure that  
231 these safety devices meet the intended purpose, the user should  
232 test the safety device by simulating conditions of use. In  
233 addition, require users to document the required performance  
234 standard or test protocol followed."

235 The CGA published a third edition of CGA G-8.3, Safe  
236 Practices for Storage and Handling of Nitrous Oxide, in November  
237 of 2019. The newest edition advises that equipment used shall be  
238 designed, constructed, and tested in accordance with the  
regulatory requirements, and prohibits the modification of filters

239 or strainers with steel wool, or similar packing, to make flame  
240 arrestors.

241       Additionally, G-8.3 focuses on preventing decomposition  
242 reactions and subsequent propagation from loss of prime and  
243 excessive temperatures and provides guidance on safety devices  
244 for those purposes. Lastly, it applies to existing facilities and  
245 equipment. As such, to comply with this guidance, if your  
246 equipment has been modified, you are required to correct it.

247       Instead of requiring testing of safety devices, such as  
248 strainers used as flame arrestors, for applications where a  
249 safety devices...where a safety device is used to quench nitrous  
250 oxide decomposition reaction, G-8.3 directs that nitrous oxide  
251 equipment be used for its intended purpose and prohibits  
252 modification of safety devices to quench decomposition reactions.  
253 It focuses on preventing decomposition reactions and its  
254 subsequent propagation.

255       Though not the specific action prescribed in the  
256 recommendation, the action taken is directed at preventing the  
257 hazard in lieu of mitigating the consequences of a decomposition  
258 reaction and its propagation. Therefore, it is an acceptable  
259 alternative as it provides an equivalent level of safety and  
260 meets the safety objectives envisioned by the Board.

261 As a result, on 01 April 2021, the Board voted to close this  
262 recommendation [as] "Acceptable Alternative Action."

263 The third of the three recommendations, which is 2016-4-I-  
264 FL-R4 reads: "Require Pump Run-Dry Safety Interlocks Apply ISA-84.  
265 Modify Compressed Gas Association standard CGA G-8.3, Safe Practices  
266 for Storage and Handling of Nitrous Oxide, to reference and require  
267 applying International Society of Automation standard ISA-84,  
268 Functional Safety: Safety Instrumented Systems for the Process  
269 Industry Sector, to safety interlocks such as the nitrous oxide pump  
270 run-dry shutdown."

271 CGA informed the CSB that they published the third edition of CGA  
272 G-8.3, Safe Practices for Storage and Handling of Nitrous Oxide, in  
273 November of 2019. The newest edition clarifies that the requirements  
274 for dry-running protection are considered critical for safety, and  
275 references ISA-84 and requires its application in evaluating safety  
276 interlocks, such as dry-running protection for pumps in the nitrous  
277 oxide industry.

278 As a result, on 01 April 2021, the Board voted to close this  
279 recommendation as "Acceptable Action."

280 CHAIR LEMOS: Thank you, Dr. Barbee...Director Barbee. I have a few  
281 questions, as you know me by now. What is the big-picture  
282 significance of CGA implementing the first recommendation, which

283 was R2, to develop and implement a safety management system  
284 standard for nitrous oxide?

285 DIRECTOR BARBEE: Dr. Lemos, very good question. As  
286 previously stated, as a part of our investigation, the CSB  
287 reviewed relevant industry standards from the Compressed Gas  
288 Association and determined that the safety...or that safety in the  
289 nitrous oxide manufacturing industry would greatly benefit from  
290 the risk reduction provided by a process safety management  
291 system.

292 However, in response, CGA published CGA P-86, which provided  
293 detailed guidance on 21 elements that fully implement a process  
294 safety management system necessary to manage known process safety  
295 hazards such as nitrous oxide decomposition, as well as identify,  
296 assess, and manage other hazards.

297 But the amazing part is that they expanded the scope to  
298 cover all processes with...within the industrial and medical gases  
299 industries. This increases safety far beyond what the CSB  
300 intended, and we want to recognize CGA's actions.

301 CHAIR LEMOS: I appreciate that, Director Barbee, because as  
302 we know, PSM and RMP have many different facets and...and different  
303 elements, depending on whose guidance you look at. But that

304 enhancing or completing something beyond what we asked for is...is  
305 noteworthy and I appreciate that.

306 Another question is: Why did you choose to highlight the  
307 recommendations to the...the Compressed Gas Association?

308 DIRECTOR BARBEE: Well, over the years, we've issued  
309 recommendations to the Compressed Gas Association in five of our  
310 investigations. In 1998, the Union Carbide Corporation nitrogen  
311 asphyxiation incident, we issued them one recommendation. In  
312 2005, Praxair flammable gas cylinder fire, we issued them a  
313 recommendation. In 2006, the Valero Refinery asphyxiation  
314 incident, we issued them a recommendation. In 2010, the DuPont  
315 Corporation toxic chemical releases, we issued them two  
316 recommendations. And in 2016, AirGas facility fatal explosion,  
317 we issued them three recommendations.

318 The Compressed Gas Association has always been a very  
319 positive group to work with and have been very responsive in  
320 implementing recommendations in a relatively short amount of  
321 time. With the closing of these recommendations, the last open  
322 recommendations in the 2016 AirGas facility fatal explosion  
323 investigation are now closed. As well as the last of the  
324 recommendations issued to CGA.

325 We want to thank CGA for their diligence and dedication and  
326 say, "Keep up the great work."

327 CHAIR LEMOS: Thank you, Director [Barbee], and to our  
328 Recommendations teams...or team. Once again, I know a lot of time  
329 and effort goes into these recommendation status changes. The CSB  
330 is investing a lot of effort to advance recommendations and we  
331 [say] thank you to the entire team, our stakeholders, and Federal  
332 agency partners that are making this happen.

333 Now I'll move on to our third priority for the agency, which  
334 is, "Strengthen stakeholder and Federal counterpart relationships  
335 to maximize our resources."

336 So, last month, I discussed what to expect from the CSB  
337 moving forward, and I discussed really a focus on transparency  
338 and communication. As promised, we will be holding a public  
339 Board Meeting to close the Aghorn investigation report.

340 You will have the opportunity to hear directly from our  
341 technical staff as they walk through the facts, the analysis,  
342 conclusions, and probable cause statement, as well as  
343 recommendations.

344 And, although I'm currently the only Board Member, we will  
345 follow the process as if there were more Board Members, and I  
346 will pose questions to the team. I'm pleased to announce that we

347 will be able to hold this Board meeting virtually, so that you  
348 can see the process live. And this is setting the pace for a more  
349 transparent CSB moving forward.

350 So, once again, I refer you all to the CSB.gov website for  
351 recent Board activities, to include closed notations and the  
352 status of investigations.

353 This concludes the agenda items for our second public  
354 business meeting for FY21. In closing, I want to thank everyone  
355 for attending today's meeting. I urge you to continue monitoring  
356 our website, and to submit any comments or questions at  
357 public@csb.gov, which was in the notice for today's public  
358 meeting.

359 All of us share a strong interest in preventing chemical  
360 incidents in the future, and we need to work together as a  
361 community to do so.

362 Thank you for your attendance, and with that, this meeting  
363 is adjourned.

364 OPERATOR: Thank you. And thank you, ladies and gentlemen.  
365 This concludes today's conference. Thank you for participating.  
366 You may now disconnect.